

NATIONAL BIOETHICS ADVISORY COMMISSION

Thursday, March 13, 1997
8:07 a.m.

Watergate Hotel
Continental Chesapeake Extender Room
2650 Virginia Avenue, N.W.
Washington, D.C.

EBERLIN REPORTING SERVICE

14208 Piccadilly Road
Silver Spring, Maryland 20906
(301) 460-8369

ATTENDANCE

NBAC MEMBERS

HAROLD T. SHAPIRO, Ph.D.
PATRICIA BACKLAR
ARTURO BRITO, M.D.
ERIC J. CASSELL, M.D.
R. ALTA CHARO, J.D.
JAMES CHILDRESS, Ph.D.
DAVID R. COX, M.D., Ph.D.
RHETAUGH GRAVES DUMAS, Ph.D., R.N.
EZEKIEL J. EMANUEL, M.D., Ph.D.
LAURIE M. FLYNN
CAROL WIDNEY GREIDER, Ph.D.
STEVEN H. HOLTZMAN
BETTE O. KRAMER
BERNARD LO, M.D.
LAWRENCE H. MIIKE, M.D., J.D.
THOMAS H. MURRAY, Ph.D.
DIANE SCOTT-JONES, Ph.D.

PRESENTERS

DR. SHIRLEY TILGHMAN
DR. GILBERT MEILAENDER
DR. NANCY DUFF
DR. LISA CAHILL
REV. DR. ALBERT MORACZEWSKI

PUBLIC COMMENTS

NANCY REAME, Ph.D., MSN
JUDITH LAMB-LION
ROBERT W. WEISE, Ph.D.
MICHELLE THEIMAN

STAFF

HENRIETTA HYATT-KNORR
RACHEL LEVINSON
PATRICIA NORRIS
WILLIAM F. RAUB
WILLIAM FREEMAN
EMILY FEINSTEIN
JOEL MANGEL
KATHI HANNA, Ph.D

I N D E X

WELCOME AND INTRODUCTION	
- Dr. Harold Shapiro, Chair	1
REPORT OF THE HUMAN SUBJECTS SUBCOMMITTEE	
- Dr. James Childress, Subcommittee Chair	7
REPORT OF THE GENETICS SUBCOMMITTEE	
- Dr. Thomas Murray, Subcommittee Chair	54
DISCUSSION: APPROACH TO THE PRESIDENT'S REQUEST	97
SCIENCE AND TECHNOLOGY IN CLONING	
- Dr. Shirley Tilghman, Princeton University	132
RELIGION-BASED PERSPECTIVES ON CLONING OF HUMANS I	
- ROMAN CATHOLICISM:	
- Dr. Lisa Cahill (Department of Theology, Boston College)	175
- Rev. Dr. Albert Moraczewski (National Conference of Catholic Bishops)	185
- DISCUSSION	193
- PROTESTANTISM:	
- Dr. Gilbert Meilaender (Valparaiso University)	220
- Dr. Nancy Duff (Princeton Theological Seminary)	232
- DISCUSSION	243
- STATEMENTS BY THE PUBLIC	
- Nancy Reame, Ph.D., MSN	269
- Judith Lamb-Lion	278
- Robert W. Weise, Ph.D.	284
- Michelle Theiman	291

1 PROCEEDINGS

2 WELCOME AND INTRODUCTION

3 DR. SHAPIRO: Good morning. I would like to ask those
4 commissioners who are here to please take their seats so we can begin
5 this morning's session.

6 My name is Harold Shapiro, President of Princeton
7 University, and I am here today obviously in my capacity as Chairman of
8 the National Bioethics Advisory Commission. If I could have the
9 attention of all of the commissioners I want to call the meeting to order
10 and turn to Mr. Raub to open our meeting.

11 DR. RAUB: Thank you, Dr. Shapiro. I need add only that
12 the commission operates under the authority and the terms of Federal
13 Advisory Committee Act. Therefore, this proceeding will be public.
14 There is a well structured and rather full agenda. I call your attention to
15 the fact that on both days of the meeting there is a designated period for
16 public comment. Several members of the public have already requested
17 and registered for the opportunity to speak. There is still some space
18 available. So those of you who would wish to address the commission
19 either today or tomorrow, please contact my colleague, Henrietta Hyatt-
20 Knorr.

21 Thank you.

22 DR. SHAPIRO: Thank you very much. Just to help both
23 remind myself and other commission members, if you are speaking I
24 think if you just press this button in front of you it works through the
25 loud speaker system and the light goes on. I hope that all works very
26 well.

1 Well, I would like to welcome everyone. Once again this is
2 our fourth meeting of the commission since we were appointed last
3 summer. As you know, we have already had two regular meetings plus a
4 meeting in San Francisco which was what we called the International
5 Summit to consult on the various issues of concern to the commission
6 with our colleagues from around the world who are addressing similar
7 issues in their own national context. Today, of course, will be the fourth
8 meeting of the commission.

9 In addition, the commission has two main subcommittees
10 that we have appointed so far. One on Human Subject Protection which
11 is chaired by Professor Childress. One on Genetic Information,
12 particularly looking at the particular issue of stored tissue samples, that
13 is headed by Professor Tom Murray. We will hear more from both of
14 those subcommittees later on this morning.

15 Those two particular subcommittees were appointed
16 pursuant to the request that was outlined in the Executive Order
17 establishing this commission that as our first priority we look at issues
18 of human subjects protection and the handling of genetic information.
19 So those two subcommittees were put together and have been working
20 since last fall on those two issues which the President asked us to take
21 on as a first priority.

22 Now, of course, as everyone here understands in addition
23 to those tasks we received a new request in the last number of weeks
24 from President Clinton to look at the legal and ethical issues to review
25 those issues as it impacts and surrounds the issue of cloning, human
26 cloning in particular, as a result of the rather stunning scientific

1 information and result that appears to have taken place in a research
2 institute on the other side of the ocean.

3 So we are now in the process of mobilizing ourselves to
4 respond to the President's request and we will certainly intend to do so
5 under the time frame that the President outlined. I came across -- and I
6 will have more to say later on this morning of just how we are mobilizing
7 ourselves to deal with the President's request. I will deal with that in
8 some detail after we have heard from our two subcommittees regarding
9 our ongoing work of the commission.

10 But I did come across a rather interesting quote which
11 came from Nature magazine. Now Nature of course is the publication
12 which reported the results from the Roslin Institute and I have the
13 following quote from an editorial in Nature which might impact how our
14 commissioners proceed or how they think about what they are doing.
15 The quote is as follows: "If ethical committees wish to brood about
16 something tangible they should worry about cloning, still some way off
17 but no longer out of sight."

18 That is not an unusual statement except that this comes
19 from a February 1982 editorial in Nature magazine, which eventually, of
20 course -- Nature also reported, of course, the recent scientific results.
21 So it is -- while this is a stunning scientific achievement it has led to our
22 new assignment which we will hear more about later as I said.

23 I have also, just speaking for myself, been -- I think
24 stunned is the wrong word, that is too strong, but I have been at least
25 some taken aback by kind of the unrestricted imagination that has been
26 demonstrated by many commentators on this issue and, indeed, I find

1 that in terms of the national rhetoric on something which is really very
2 important really quite troubling.

3 And in this sense I really want to take a moment to
4 express my great gratitude to the members of the commission who have
5 spoken to the press and/or appeared on television and other media
6 channels who have, I thought, not only been extremely thoughtful and
7 measured in their tone but have had, I think, a very salutary effect on the
8 national discussion. I am very grateful to all those commissioners who
9 have taken the time and to respond so thoughtfully to very
10 understandable public interest in this area.

11 We, ourselves, as the commission takes on this task,
12 again as I said a moment ago which we will discuss in some detail later
13 on this morning, are going to be focused on trying to respond to the
14 President's letter in a way that will ask ourselves what is often not asked
15 out there today and that is why we believe certain things and why we will
16 make certain recommendations.

17 So understanding why one has these opinions is going to
18 be critical in my view in order to be able to speak effectively on both
19 legal and ethical issues. So once again my thanks to all those
20 commissioners who have played such an important part in the public
21 discussion.

22 With that by way of review let me just say a few words
23 about the agenda and then I want to say a word about the commission's
24 staff. We will, of course, begin in just a few moments with a report of the
25 Human Subjects Subcommittee. I will turn to Dr. Childress and his
26 colleagues for that. We will allow approximately an hour for that

1 discussion. We will then turn to the report of the Genetics
2 Subcommittee. We will turn to Professor Murray for a report on that and
3 his colleagues.

4 Approximately 10:00 or 10:15 we will have our break for
5 half an hour and then proceed to discuss the response to the President's
6 most recent request. Really all the rest of today and tomorrow will be
7 focused on that issue.

8 We will be hearing from a number of distinguished people
9 who have asked to address the commission on various aspects of the
10 issues that surround human cloning. We will hear from Dr. Shirley
11 Tilghman on the science and technology issues.

12 We will then have a series of speakers this afternoon on
13 various religious based perspectives on cloning and that will go over until
14 tomorrow where that will continue through the morning, and then we
15 will, ourselves, have time -- both a session with deal with the pros and
16 cons from various philosophical or moral viewpoints, and of course our
17 own discussion. And as Dr. Raub has said, we will have time for public
18 comments on both sessions.

19 So we will it will be a very packed agenda from our point
20 of view, very central to the issues that we, the commission, will have to
21 make our own judgments about and we look forward on the commission
22 to a very busy next -- I do not know how many days are left but
23 somebody must be counting. It is very few dealing with such a difficult,
24 complex issue but we certainly look forward to doing this with
25 considerable enthusiasm.

1 Are there any questions from members of the
2 commission regarding our agenda for today or how we are proceeding?

3 Thank you very much. Let's go then to the first item on
4 our agenda which is a report of the Human Subjects Subcommittee.
5 Jim?

6 REPORT OF THE HUMAN SUBJECTS SUBCOMMITTEE

7 DR. CHILDRESS: Thank you very much, Dr. Shapiro.

8 I will briefly report and be joined by members of the
9 Human Subjects Subcommittee on our work since we last met. Our
10 committee itself, our subcommittee itself, last met on February the 24th,
11 which as you will recall is the day after the news about "Dolly" broke.
12 And "Dolly" as you have heard altered NBAC's immediate agenda and
13 shifted our immediate priorities.

14 As a result we have not advanced or greatly advanced the
15 work of the subcommittee over the last two weeks but on the basis of my
16 conversations with subcommittee members I would say that we really do
17 not want to lose our momentum during this 90 day period. We have an
18 ambitious undertaking and we want to continue working on that during
19 this period even as we work on issues surrounding human cloning. So
20 we hope to continue our subcommittee work, including having meetings
21 as appropriate during this 90 day period.

22 Furthermore, we will need your help, particularly over the
23 next few weeks, you will hear in our discussion today some matters that
24 we want some feedback from you all over the next ten days to two weeks.
25 For example, drafts of descriptions of papers that we hope to have
26 people prepare under contract and also a response to the proposed

1 methods for studying federal agency compliance with the "Common
2 Rule." I will come to those matters later.

3 Basically I hope to cover the following themes during this
4 hour, and we will cover these very quickly: I would note that these are
5 discussed in more detail in the transcript of the meeting for February the
6 24th. Of course, you have received a lot of material over the last several
7 weeks and not only that transcript.

8 Someone has proposed in our subcommittee that we
9 actually consider, and I mentioned this, and I am mentioning it now to
10 our chair and to the staff, that we consider some way to have brief
11 minutes accompanying the transcript serving as a kind of guide to the
12 transcript when it arrives so that people can get a quick overview of what
13 is there, know where they can dig into it in more detail particularly if they
14 get on this disk they will be able to find very quickly the passages they
15 want and study it in more detail. I think that may make our process
16 more efficient.

17 Today I would like to deal first of all with methods and
18 procedures for accommodating our mandated task of studying federal
19 agency compliance with the "Common Rule."

20 Second, a request from the Human Subjects
21 Subcommittee that NBAC endorse a recommendation to the President
22 for a public apology to Tuskegee survivors and to the country on behalf
23 of the Federal Government for the Tuskegee experiment.

24 Third, Alta Charo will introduce a proposal that we will
25 take up in greater detail at the Human Subjects Subcommittee meeting

1 and at the next NBAC meeting regarding an ethical, principle or ideal of
2 a universal protection for potential and actual subjects of research.

3 Then very briefly at the end I will say a word about what
4 we are doing in relation to two IRB studies that are underway and the
5 progress we are making on our general and specific topics for the
6 subcommittee's work, and the topics that we want to get papers
7 prepared on over the next few months.

8 So that is the direction we will go in this discussion. So
9 the first is to consider methods and procedures for following through on
10 our mandated task of determining what is happening in federal agencies
11 in human subjects protection.

12 Now we have written reports from the agencies, and again
13 you have probably received that batch of materials and have those
14 materials somewhere in your office. If you do not have a complete file of
15 those reports and would like to have one, please check with the staff.

16 It is important, obviously, that the subcommittee and
17 then NBAC as a whole go beyond the written reports. So what we want
18 to do this morning is discuss briefly with staff working on this particular
19 area how we can go beyond the written reports.

20 You have met before Emily Feinstein and Joel Mangel but
21 I think NBAC as a whole has met William Freeman who was with the
22 Indian Health Service and has joined the staff to work specifically on this
23 project.

24 So what I would like to do is have Bill or Emily, or Joel, or
25 all three briefly indicate the plan for getting more information about the
26 extent of agency compliance with the "Common Rule." And what you will

1 receive -- you have already received one draft. This is a draft to replace
2 the one you received on methods. Bill and Emily will indicate that they
3 will need feedback on this, not today because you have not had a chance
4 to read it but by midweek, by Wednesday of next week. We would like to
5 have you give them feedback on how this might be revised.

6 So let me turn to Bill and Emily. I guess Joel is not here
7 today, is that right?

8 DR. FREEMAN: Yes.

9 DR. CHILDRESS: Okay.

10 DR. FREEMAN: Thank you very much. Since the
11 subcommittee met two weeks ago, first of all we developed objectives
12 that the subcommittee had not seen. We reread the responses to NBAC
13 of the Federal Government organizations about how they protect human
14 subjects. We then redrafted the questions based on those objectives
15 that we developed and the responses that have been in NBAC for a while.
16 We had everything re-reviewed by -- that is to say the questions and the
17 objectives -- by several knowledgeable people.

18 Then yesterday afternoon we developed or drafted the
19 protocol. It was a first draft done in an afternoon so I apologize for it not
20 being polished but we wanted to get it to you today, this morning. That
21 is why you have this revision and you can throw out the one that is in
22 your packet that you received last night or in the book. We have revised
23 the protocol a little bit and added three pages at the end which I will talk
24 about.

25 The idea is to do the survey in two phases. The first
26 phase is to interview appointed representatives that each organization

1 has appointed to work with NBAC that typically the secretary of the
2 department has appointed. These are usually people in most
3 organizations fairly high in the organization.

4 The second phase will be to interview people who are
5 actually implementing the "Common Rule" and other protections for
6 research subjects.

7 In the first phase we ask for information that the
8 government does provide to the public on request. So it is not
9 something special although it is more than they are probably used to.

10 In the second phase we do the same with more details
11 but in addition we are asking, as you will see in the questions, a
12 knowledge, attitude, belief, behavior survey to try to get at what are the
13 incentives and disincentives and the knowledge base of the people who
14 are actually implementing the protocol -- excuse me, implementing the
15 "Common Rule" because we feel that if there is a problem with
16 implementing the "Common Rule" it may well be in those organizational
17 incentives and disincentives that people feel and experience.

18 We have an information sheet, that is what was added
19 early this morning, for Phase I. It would be a very similar one for Phase
20 II. I did not have time to do that. And then a -- what I call a "consent" for
21 that KABB.

22 So one of the questions that this commission needs to
23 look at and if possible feed back to us is, in fact, do you consider that as
24 we propose, it is only a proposal or a draft, that aspect of Phase II, the
25 KABB survey of Phase II, would be considered research and it has to go
26 through an IRB.

1 The way we have done it, it is anonymous. There is no
2 reason to keep the identifiers of the organization or the people
3 responding about their own knowledge, attitudes and how they actually
4 implement the rule if we are trying to find out what are common issues
5 throughout the Federal Government and because it is anonymous it
6 would be exempt from further IRB review but that is not a determination
7 that the researcher does, that is a determination that the IRB does.

8 We would also, as Jim said, would very much like your
9 feedback by Wednesday of especially the questions, especially Phase I
10 but we would appreciate feedback from the entire protocol.

11 DR. CHILDRESS: Emily, do you want to add anything?

12 DR. FEINSTEIN: No.

13 DR. CHILDRESS: All right. Let's open it for discussion
14 and response from NBAC members.

15 Bernie?

16 DR. LO: I was just going to say we have not read it so it is
17 hard to respond.

18 DR. SHAPIRO: Jim, I have a question. Could you just say
19 something about the time frame that you have laid out for this? It may
20 be in here and I have not spotted it yet so I apologize for that.

21 DR. FREEMAN: It is not there. The time frame is -- we
22 expect to have the report by October. We expect to have good results by
23 the end of June or July. I suspect as you will look at the questions that
24 we are asking much amplified from what they were for the subcommittee
25 that we will not be able to do every federal organization certainly by June
26 in certainly both phases.

1 So we are going to concentrate, we the staff, including Dr.
2 Raub, have talked about whom should we -- what organizations should
3 we target and we have a list of the ones that we want to do first. There
4 are many federal organizations that responded that either are doing very
5 little research in terms of amount or relatively low risk research like
6 mainly surveys and they would be later in the process. So we will expect
7 to have a product or information for the committee to consider at the
8 end of June or early July.

9 DR. SHAPIRO: Thank you very much.

10 Jim, the only reason I asked this question is we,
11 ourselves, are looking forward to a report in October which means that
12 we have to have something to think about early enough on that is
13 comprehensive enough, and it sounds to me that will be satisfactorily
14 handled with your June-July for really pretty solid information. Am I
15 correct?

16 DR. FREEMAN: That is correct.

17 DR. SHAPIRO: Thank you.

18 DR. CHILDRESS: And I agree that is important if we
19 could plan on spending a fair amount of time at the July NBAC meeting
20 discussing the results you have at that point. That would be most
21 helpful.

22 Are there other questions?

23 Yes, Bernie?

24 DR. LO: I note that a lot of these questions are open
25 ended questions and I think that is good because they will give us a lot
26 of rich information. Do you have a plan sketched out for how you are

1 going to analyze this information and again to follow up on the questions
2 about timing could we have sort of a timetable as to whether the analysis
3 can feasibly be done on the schedule we are talking about?

4 DR. FREEMAN: Again the two aspects of the more typical
5 information of forms and what are the processes and procedures that
6 the organization does to implement the "Common Rule," we will try to
7 collate it and put it into groups. The KABB, I have not thought about
8 that. It depends -- I mean, actually I have thought about it and I do not
9 know precisely yet.

10 It may be that we will be getting -- as you see, I
11 mentioned this is really a qualitative interview. We may get some --
12 enough good qualitative information to use the standard qualitative
13 software and methods to analyze qualitative information or we may do it
14 in our heads. I would prefer to have it more rigorous and we will have to
15 see what our resources are so that is as much as I can say at this time.

16 DR. CHILDRESS: Are there other questions at this point?

17 DR. FREEMAN: We would be glad to have
18 recommendations about how we should analyze it as well from the
19 commissioners.

20 DR. CHILDRESS: Yes. It is important to emphasize again
21 that this is in process and this is the first time people have seen this.
22 They saw some earlier versions of the questions in less developed form
23 and it is important to get the feedback by next Wednesday particularly
24 on the first part, on Phase I, because this is the part they would like to
25 start. Phase II obviously will be longer in developing and there will be an

1 IRB review, et cetera, so they will give you more time on that but they
2 would love to have your feedback on everything if possible.

3 Are there other questions?

4 DR. SHAPIRO: Jim, just a comment on the very last point
5 that you made, that is the question of whether we will have resources to
6 do the kind of analysis of the information you would like to do or what
7 you think is most appropriate to do. I would just like to request from
8 you, not now but after you have had a chance to think about, let me
9 know what you would need to do it right because I am really quite
10 determined we are going to do this right so we can meet the challenge of
11 getting and pulling the resources together that you require. So if you
12 could just let me know about that as soon as possible I would appreciate
13 it.

14 DR. CHILDRESS: Yes, Laurie?

15 DR. FLYNN: Again I apologize for not having had a
16 chance to review it and it may well be in here but one area I am
17 interested in and wonder if it might be possible to consider as you phase
18 out these interviews is whether or not these officials have any
19 mechanism or have any information as they look at the implementation
20 of the informed consent process, particularly with vulnerable populations
21 as to identifying when individuals withdraw from research, to what extent
22 their lack of understanding or their confusion may be a part of that, as
23 well as any follow-up they may be doing over time with individuals who
24 have participated as to their feedback or thoughts about whether or not
25 the process was one that they found informative throughout and whether
26 or not they were satisfied with the amount of information they received

1 not only at the signing of informed consent but throughout the
2 procedures they were involved in.

3 I am interested in knowing if we can reach through some
4 of this research to the individuals who are actually participating, most
5 particularly those who may fall into the category of vulnerable
6 populations.

7 DR. FREEMAN: We do have a section in both phases or
8 both the higher level and the IRB level people on vulnerable populations.
9 It does not include that. We will add that. I think that is very
10 appropriate. I have done that personally in the Indian Health Service to
11 ensure that the researchers did it. We did not ask for information back
12 to the IRB. We just -- but it was part of the protocol that we asked the
13 researchers to do and they did.

14 The -- let me add something that I did not say. We are
15 not looking just at what the IRBs in the organizations are doing. We are
16 also, as you will read it, very interested in what are they doing, the
17 organizations, to assure that the grants and contracts, people who
18 receive them, are doing. What is their oversight of those organizations'
19 IRBS with the same kinds of questions? So we will add your comments
20 but I wanted to make clear that we are not just talking about internal
21 IRBs. We are talking about extramural research and oversight by the
22 funding agency.

23 DR. FLYNN: Thank you.

24 DR. CHILDRESS: Any last question or comment?

25 (No response.)

1 DR. CHILDRESS: Bill and Emily, thank you very much,
2 and Joel in absentia.

3 We would like to have your responses by e-mail and I
4 guess we have your -- do we have your e-mail address, Bill? If not, would
5 you make sure that we have that.

6 DR. FREEMAN: We will have it ready for tomorrow.

7 DR. CHILDRESS: Okay. All right. Thanks. Okay.

8 Any other comments on this?

9 (No response.)

10 DR. CHILDRESS: Again, thank you very much.

11 Well, let's turn to the second item on our agenda and that
12 is the agenda of the Human Subjects Subcommittee's report to NBAC,
13 and several mailings ago you received a copy of the report of the
14 Tuskegee Syphilis Study Legacy Committee, co-chaired by Vanessa
15 Northington-Gamble and John Fletcher.

16 This particular report was considered by the Human
17 Subjects Subcommittee at its last meeting. It is a report that has also
18 gone at least in modified form to the Clinton Administration. The
19 Human Subjects Subcommittee recommended or recommends that
20 NBAC recommend the following:

21 First that there be a presidential apology for the Tuskegee
22 Syphilis Experiment, and in making this first recommendation we are
23 joining a number of other voices that have also called for such action on
24 the part of the Federal Government. We heard at our last meeting, for
25 example, from Dick Schneider of the Centers for Disease Control, as well
26 as other sources, about the discussion that has gone on in the

1 administration about an apology with several of the questions that
2 remain having to do to a great extent with when, where, how to carry out
3 such an action.

4 So we -- if we accept this recommendation, if NBAC
5 accepts this recommendation from the Human Subjects Subcommittee
6 we would be, in effect, joining a number of others who are also making
7 such a recommendation and participating in a process that is underway
8 already in the administration.

9 The second recommendation is that the administration
10 also seriously consider other recommendations from the report that have
11 been forwarded to the administration, not all the recommendations in
12 the report I understand from Vanessa Gamble have actually been
13 forwarded. For example, the one that has to do with setting up a
14 Tuskegee Research Center. Apparently it was felt in further discussions
15 that it would be better to have this proposal come from the community
16 itself. So the second recommendation is that the administration
17 seriously consider the other proposals contained in the report.

18 And third, and this is really directed to NBAC itself, that
19 as a group -- as a commission we take to heart the lessons of Tuskegee
20 and incorporate those into our discussions and deliberations, not only in
21 the human subjects area but also in all the areas we addressed, that
22 there be something from this experiment that, in effect, we keep in mind
23 as we conduct our activities together.

24 There was a fourth that we invited Vanessa Gamble to join
25 us for this discussion but we decided not to pursue that given the
26 shortness of time today as a result of "Dolly's" appearance.

1 So let me ask Rhetaugh Dumas to comment on this and
2 then Alta Charo, both very briefly, and then we will make this
3 recommendation to NBAC.

4 DR. DUMAS: Thank you.

5 The Tuskegee Syphilis Study was conducted over 60
6 years ago but the details of that study became public in 1972, I believe,
7 with an article that was published in the New York Times. The Legacy
8 Committee intends to keep alive the memory of this study and its
9 problems, and its impact, but at the same time to foster opportunities to
10 move beyond that study to achieve more positive outcomes.

11 The study has become a metaphor which symbolizes,
12 according to that committee, racism in medicine and ethical misconduct
13 in human research, and the exploitation of vulnerable population groups
14 in our country. It has affected adversely attitudes in general about
15 human experimentation in research. So the study continues to cast a
16 dark shadow on research, biomedical research on human subjects, and
17 it is important that the impact of this study is addressed appropriately,
18 and also that the lessons that can be learned are fully exploited and will
19 guide people in research in the future.

20 Now the committee is asking the President to make a
21 public apology and there is a precedent for this in the Human Radiation
22 Experiments where the President made a public apology and indicated
23 the importance of the American people recognizing the truth and the
24 importance of the government admitting when it has made mistakes.

25 They would like to have the President make this apology
26 at Tuskegee and preferably at a meeting of NBAC. So our proposal is

1 that this commission supports the recommendations that have been
2 read to you and then we need to also take up the issue of the meeting at
3 Tuskegee if the President should decide to follow this recommendation.

4 Is there something else I need to say about this?

5 DR. CHILDRESS: I think that is probably --

6 DR. DUMAS: That is okay.

7 DR. CHILDRESS: I think so.

8 DR. DUMAS: Any questions or comments?

9 (No response.)

10 DR. CHILDRESS: Alta, do you want to add anything?

11 PROF. CHARO: I am not sure whether or not it is needed
12 now but briefly, Jim asked me just to mention something about the role
13 of apology so far in the area of biomedical ethics.

14 As Rhetaugh has alluded to the survivors of the radiation
15 experiments did receive an apology from the U.S. Government on behalf
16 of the government and of the people of the United States for acts that
17 took place years in the past. And this follows on a pattern now of
18 looking to apologies as a form of statements of empathy, regret and
19 beginnings of healing processes that include things like the apology to
20 Americans of Japanese descent who were interned in camps during
21 World War II.

22 In anticipation of some of the things that may be in your
23 minds by way of questions I wanted to just mention that the members of
24 the Human Radiation Committee debated the role of apologies and
25 debated whether it was appropriate for apologies to be issued by people

1 today who were not personally involved in particular activities that took
2 place in the past.

3 They had concluded in that context that apologies are not
4 necessarily statements of personal culpability and pertinent to that
5 particular set of concerns about the radiation experiments and less
6 pertinent in the context of the syphilis studies they are not necessarily
7 findings that the actions at the time that they were taken necessarily
8 violated then prevailing ethical norms. That had been a debate on the
9 Radiation Committee. In the end they did conclude those people had
10 violated prevailing norms at the time but it was a subject of great
11 debate.

12 Those are not necessarily concerns here. So that the
13 request really is for a statement at the presidential level or requests for
14 us to endorse a request for a statement at the presidential level of
15 empathy and regret on the part of the entire government for activities
16 that took place 60 years ago and are still having their effects
17 reverberating today throughout the survivors and their friends and
18 families, and the people who read about them.

19 DR. CHILDRESS: Rachel, would you like to add anything
20 about the discussion that is currently taking place in the administration?

21 DR. LEVINSON: I can just say that it is true that the
22 request has been received and the report itself, and it is also being
23 discussed within the Department of Health and Human Services, and I
24 appreciate the discussion over here this morning.

25 DR. CHILDRESS: Okay. Are there any questions or
26 responses from commissioners?

1 DR. SHAPIRO: Jim, just on a tiny logistical issue, would
2 you like the commission to consider really both trees -- both branches of
3 this recommendation, both that we support the request for the apology
4 and that the administration consider the other requests that are
5 forwarded -- that have been forwarded by the commission? Do you want
6 to take both together?

7 DR. CHILDRESS: We can take them together or
8 separately. We have emphasized the apology. The apology request is
9 made by the Tuskegee Syphilis Experiment Legacy Committee. The ones
10 that come in by some other proposals, we are not sure about all the ones
11 that have been forwarded, I thought Rhetaugh indicated one that was
12 not, so we were saying in somewhat an indefinite way that at least there
13 be a serious consideration.

14 DR. SHAPIRO: Well, if it is all right with the commission I
15 would prefer to take those as two different proposals since one, I think,
16 we are quite clear about what it is we might approve, the other is a less
17 focused one and we are not sure even exactly what recommendation has
18 been forwarded. I understand that you are just asking that we
19 encourage consideration of these and we are not endorsing any of these
20 but just careful consideration of those.

21 So if there is no objection on the commission we will
22 consider a motion in front of us to support and back, and endorse, I
23 guess is the word that is used, a request to the President that an
24 apology be issued in this case.

25 Is there any comments, questions, concerns from
26 members of the commission regarding this proposal?

1 (No response.)

2 DR. SHAPIRO: If not, all those in favor please say aye.

3 (A chorus of ayes was heard.)

4 DR. SHAPIRO: Opposed? That passes unanimously.

5 We also have a request from the subcommittee that we
6 consider -- that we ask the administration to at least carefully consider
7 other proposals that either have been or may be forwarded from that
8 group to the administration. That is also a motion that is before us
9 since it comes from a standing committee.

10 Any comments, questions, concerns about that?

11 DR. DUMAS: It might be useful for me to point out in
12 general what the nature of some of the other proposals are. I
13 understand that there have been some added but there was the concern
14 about the necessity to somehow have tangible preservation of the
15 memory of the Tuskegee Syphilis Study by having a museum where
16 records would be kept and other information provided to keep the
17 memory of this alive.

18 The other was to in some way recognize the impact of
19 this, the adverse impact on the Institution of Tuskegee, the university
20 itself, and to have some way of compensating Tuskegee for the
21 consequences of this study. Those are examples.

22 There was another one, I think, that -- which I cannot
23 remember. Oh, the third one was to have this public apology presented
24 at an NBAC meeting at Tuskegee.

25 DR. SHAPIRO: Thank you. Larry?

1 DR. MIIKE: Is there any rush on this since we are
2 meeting again in April? I am unclear about what we are endorsing so I
3 would rather just sort of -- if there is no precipitous reason for
4 addressing this motion I would rather wait until the next meeting.

5 DR. CHILDRESS: I am not sure there is on the second
6 one. I think the first one is the one we gave priority to in discussion.

7 DR. SHAPIRO: Just to clarify, I also do not think that
8 there is a particular rush or any precipitating cause that would cause us
9 to move this. That is really why I separated these two motions. And the
10 second one is much weaker in my judgment. I mean, it might be just as
11 good ideas but all we are saying is to consider it as I understand the
12 committee's recommendation.

13 DR. DUMAS: Yes.

14 DR. SHAPIRO: But, Jim, how do you feel about that?
15 Would you rather wait until we know exactly what has been forwarded?

16 DR. CHILDRESS: I have no objection to that and perhaps
17 Rachel could help us by helping us find out exactly what was forwarded
18 from the report that everyone in the group had seen but we have not --
19 we do not know what was filtered through to the administration on that.

20 DR. LEVINSON: I would be happy to do that.

21 DR. CHILDRESS: Thank you.

22 DR. SHAPIRO: I think perhaps that is a useful suggestion
23 but if there is -- that is if there is no objection from the commissioners
24 then we could bring together a little more information by our next
25 meeting and see exactly what has been forwarded since I, myself, am not

1 sure which of these recommendations have gone forward and which have
2 not.

3 All right. Thank you.

4 DR. CHILDRESS: Then the third part, I am not sure we
5 need to act on it formally, was that we take the lessons to heart of the
6 Tuskegee Syphilis Experiment in our deliberations as a commission and
7 that was an advisory one. I do not know that there needs to be any
8 particular action on it.

9 DR. SHAPIRO: Thank you very much. We certainly -- we
10 have, of course, distributed all the materials to all members of the
11 commission and just relating my own reaction to the reading that all
12 together in one place really presents a very powerful document, which
13 certainly has personal impact just speaking for myself and I am sure the
14 same is true of all the other commissioners, and we certainly appreciate
15 the committee bringing this to our attention. It is certainly to impact
16 how we proceed.

17 Thank you very much, Jim.

18 DR. CHILDRESS: Thank you. The next item on our
19 agenda is to briefly consider a proposal that Alta Charo is making.
20 Today all we intend to do is just discuss it briefly and then there will be a
21 sharp precise proposal considered at the next Human Subjects
22 Subcommittee meeting and at the next NBAC meeting.

23 Alta?

24 PROF. CHARO: You have had distributed to you a copy of
25 the first draft of the memorandum that unfortunately was taken up too

1 late at the last subcommittee meeting to be appropriately redrafted so I
2 welcome your input.

3 The thrust of it as follows: We have heard since our very
4 first meeting that under current law at the federal and state levels there
5 are people who are enrolled in medical research experiments, in theory,
6 in the United States without any form of formal protection against being
7 enrolled without their knowledge, without their consent, and without the
8 protections of some third party review over the ethics of the experiment
9 itself, its risk/benefit analysis and other aspects of its construction.

10 And the phenomenon of unregulated or unsupervised
11 experimentation is one that just as a matter of principle is disturbing.

12 Following on from the Tuskegee Legacy report I think it is
13 appropriate because it was in the context of those hearings in Congress
14 back in the early '70s that a report was issued that said among other
15 things that, "Congress should establish a permanent body with the
16 authority to regulate at least all federally supported research involving
17 human subjects...", and then it continued, "...ideally the authority of this
18 body should extend to all research activities even those not federally
19 supported." That is April 28th, 1973. Next month will be the 23rd --
20 24th anniversary of that report with a failure to actually implement that
21 most basic of recommendations.

22 So what I had distributed to you does not propose to
23 adopt any particular piece of legislation as its model, nor does it require
24 that action be taken at either the federal or state level.

25 In other words, it tries to eschew any particular legislative
26 approach because this is not a committee of legislative drafters, but

1 simply to identify as a matter of principle that the "Belmont Report" and
2 the "Tuskegee Legacy Report" have clearly stated that justice requires a
3 fair distribution of benefits and burdens of research throughout the
4 United States, and that a fair distribution of burdens of research also will
5 always include a fair effort to minimize those burdens, and that the only
6 way to accomplish those goals is, in part, to assure the kind of basic
7 protections that are represented by things like informed consent and
8 third party review of experimental protocols.

9 So it asks NBAC to endorse the policy first recommended
10 in 1973 by the Tuskegee panel and called for appropriate federal or
11 state action to ensure that no person in the U.S. is the subject of
12 research without the protections of informed consent and IRB style
13 review as exemplified in the "Federal Common Rule."

14 Because we are unable to ascertain precisely how many
15 people currently are enrolled in medical experiments without their
16 knowledge and the precise degree of injury that they have incurred it has
17 been suggested that this kind of statement be adopted without reference
18 to specific findings or perhaps with reference to the fact that such
19 findings are impossible to make in the absence of some kind of body
20 that accumulates that date.

21 It is to that that I would like to turn your attention.
22 Whether or not this is a good idea? If so, what is necessary in order to
23 state it properly? And then have it brought back in April for final action.

24 DR. CHILDRESS: So we are clear now that we are just
25 getting your feedback on the way in which -- first of all, if it is a good

1 idea to go in this direction? The second, how it might be formulated
2 more precisely for purposes of our subsequent discussion?

3 DR. SHAPIRO: Thank you.

4 Any comments or questions?

5 Bernie?

6 DR. LO: Well, I think we would all support the idea that it
7 is not a good thing to have research in this country that is not subject to
8 third party IRB review or where the consent of subjects is not obtained.

9 I am a little concerned about what we hope to accomplish
10 by this broad a statement which I think I and I think most of us would
11 agree with or would there be some benefit to doing a little more detailed
12 analysis of at least the policy options as opposed to specific legislation.

13 I am not clear how one would as a matter of practicality
14 extend the requirements of informed consent and IRB type review to
15 nonfederally sponsored research outside of institutions that require it for
16 all research. So would it be helpful coming from this commission to
17 have some discussion of sort of how we can -- what are the options for
18 extending these types of oversight and guidelines? Otherwise I am just
19 afraid that people will say, "Yes, we agree with it," but nothing will
20 happen.

21 DR. CHILDRESS: As I understand our discussion
22 basically it is one thing to affirm the ideal or principle. The question of
23 implementation, whether it is done through some particular
24 governmental action, through voluntary action of the various groups, that
25 is something that we obviously will have to talk about over time and
26 presumably will make some recommendation about.

1 But I guess the thought that Alta has had and others who
2 have affirmed it as something else, you know, motherhood, apple pie
3 and so forth, sure we can all agree with that but it is important to have
4 that on the table.

5 Is it so important for us to affirm something like that
6 knowing that we still have to face the hard implementation questions?

7 PROF. CHARO: I would also like to try to give a more
8 concrete answer to the question of, "Why bother?", Bernie. Yesterday in
9 the testimony before Congress concerning cloning in the context of
10 humans, I found myself talking about the degree to which any child who
11 begins with a cloning experiment would be necessarily the subject of
12 medical experimentation.

13 So that if it turned out that cloning does work in other
14 mammals and if it turned out that it then works in adult cells of humans,
15 a child who is subjected to this kind of medical experimentation might,
16 therefore, feel entitled -- we might, therefore, feel entitled that such a
17 child is deserving of protection against dangerous experiments,
18 experiments that are unreviewed, experiments that are taking place
19 without the fully informed consent of his or her progenitors. I loathe to
20 say parents now that they are genetic siblings.

21 And yet I could not say the National Bioethics Advisory
22 Commission has already determined that as a matter of ethical ideal no
23 person in the United States should be subjected to experimentation
24 without appropriate review to ensure the experiment is scientifically
25 important enough to merit the danger it poses to the subject.

1 As a result I had to work all around that because I could
2 not say it and I thought, gee, wouldn't it be nice to be able to say that
3 and then base some of the concerns about cloning on that instead of
4 couching it all on the subjunctive.

5 DR. SHAPIRO: Other questions about this? Reactions?

6 DR. FLYNN: I just -- thank you. I just want to endorse the
7 notion that a general statement of principle is always valuable and may
8 in this climate be especially useful. But I think I share Bernie's concern
9 that we not fail as part of our work to take seriously the need for policy
10 options, the need to recognize that if we want to see the extension of the
11 "Common Rule," particularly with regard to vulnerable populations in a
12 rapidly changing climate that it is important that we allocate some time
13 and resources to at least looking at policy options, at the realities and
14 practicalities of implementation, and where within the various scientific
15 and regulatory structures such action might be recommended?

16 With that understanding I feel comfortable moving
17 forward but I do think it is important that we not lose sight of that very
18 important follow on task. It is a very large agenda item but it is I think in
19 my judgment very critical.

20 DR. SHAPIRO: There are a number of commissioners
21 who want to speak. Let me just go down around this way and then back
22 up.

23 Steve?

24 DR. HOLTZMAN: I have a -- let me get to my remarks by
25 asking Alta a question. In your testimony or what you just said is that
26 you wanted to conclude or you did conclude that there was a subject

1 who was a subject of experimentation. Who was the subject? Who or
2 what was the subject?

3 PROF. CHARO: There are several. The person whose
4 cells are taken for the adult cells. The person whose egg is used and the
5 child who results if a child ever could result from this kind of technology.

6 DR. HOLTZMAN: So the question that it raises for me is I
7 broadly support the principle and then the question is but in your last
8 point there you are claiming implicitly that the subject -- you have got a
9 subject which is not a subject yet who is the subject.

10 PROF. CHARO: No, not -- it is not metaphysical. I was
11 speculating in the writing that any attempt at cloning technology in
12 humans would necessarily require follow-up on the developmental
13 integrity of the fetus and the child over time because of the questions
14 surrounding the use of adult DNA to begin embryonic life. As a result
15 that kind of continuing surveillance, testing, monitoring, evaluation
16 would necessarily make the child a subject of experimentation at the
17 time the experimentation is taking place with no metaphysical problems
18 about the person who is not yet a person to be.

19 DR. HOLTZMAN: Because while broadly supporting what
20 you want to do here the question that arises is what is the interpretation
21 of it? I could reasonably have interpreted what you were saying as
22 suggesting that there was a need for the informed consent, the person
23 who does not yet exist, all right.

24 PROF. CHARO: At a certain point I think we have to trust
25 that people will interpret things sensibly and realistically but I take your
26 point.

1 DR. HOLTZMAN: But, therefore, could be used by some
2 to be interpreted that certain kinds of experimentation can be done.

3 DR. SHAPIRO: Thank you. Any other questions here
4 before going to the other side of the table?

5 Larry?

6 DR. MIIKE: Alta, in your proposed statement you refer to
7 the Animal Welfare Act. Do we know anything about -- and that is
8 broadly applicable. It seems to me that that has been around for about
9 20 years. What has been the practical effect of that? It seems to be
10 directly on point about enlarging the human side to any type of
11 experimental protocols.

12 PROF. CHARO: The most concrete expression of this idea
13 is embodied in a bill that is pending in Congress right now. Many other
14 bills could be written with slightly different bases that would extend the
15 existing system basically to nonfederally supported, nonfederally
16 multiply insured in non-FDA regulated institutions.

17 It is certainly possible that in the context of that bill
18 information has been accumulated about the Animal Welfare Act. OPRR
19 administers a program to oversee the Animal Welfare Act as well as
20 human research. So we have avenues to get some feedback on how well
21 that has worked.

22 DR. SHAPIRO: Again information on that would be
23 helpful.

24 Other comments or questions on this particular issue
25 because I believe Jim intends the subcommittee to meet sometime prior
26 to our April meeting and to have a specific proposal for us to deal with at

1 that time. Any other comments, questions, suggestions would certainly
2 be welcome right now but at any time between now and when the
3 subcommittee meets.

4 DR. DUMAS: I have a --

5 DR. SHAPIRO: Yes, Rhetaugh, I am sorry.

6 DR. DUMAS: I have a comment. I think it is crucial that
7 we have a statement of principle in line with the idea that Alta has
8 presented. It is also conceivable that in trying to formulate policy
9 options that we may not be able to figure out at this particular junction
10 in history exactly how that might be implemented more specifically. But
11 I do not think that that should in any way defer us or deter us in making
12 the clearest statement of policy -- I mean, of principle that we can
13 formulate.

14 DR. SHAPIRO: Eric?

15 DR. CASSELL: Well, I take it that the statement of
16 principle is that no one should have research done on them without their
17 consent but don't we want to go further and say that we are looking for it
18 not merely as a matter of principle but as a matter of regulation for
19 people not presently covered by the "Common Rule?"

20 DR. DUMAS: Yes, yes, I do.

21 DR. CASSELL: So we have two parts to it that we think
22 that it should be -- I mean that the basic principle we all agree on and
23 the second is that it should be extended to other groups.

24 DR. SHAPIRO: If I could just ask people to turn off their
25 microphones when they are finished that would help the sound system I
26 think.

1 DR. CHILDRESS: But, Eric, exactly how that would be
2 done is a matter that would be further discussed.

3 DR. CASSELL: Yes.

4 DR. DUMAS: Yes. My feeling is it may not -- we may not
5 know exactly how it can be done at this particular moment but I think
6 that there should be some statement that would urge all diligent efforts
7 to find ways to ensure that that is implemented.

8 DR. SHAPIRO: Jim?

9 Any further question on this subject? I know Jim has two
10 other subjects he wants to get around to, the IRB studies and some
11 paper topics. But is there anything on this since this will probably come
12 to us for some action the next time we meet? No, when I say this, some
13 proposal that has yet to be fully articulated. We will give as much notice
14 as possible.

15 Okay. Thank you.

16 Jim?

17 DR. CHILDRESS: And thank you, Alta, and thank you
18 commissioners for the discussion.

19 Please, if you have further thoughts about this, why don't
20 you send them to Alta or to me and we will make those a part of our
21 discussion at the Human Subjects Subcommittee meeting.

22 The last two items I think I can move through fairly
23 quickly and we will be mercifully on time. How about that?

24 One area of concern for NBAC from the very beginning
25 has been what can we learn about what goes on in IRBs. Obviously one
26 concern has been that we may not have enough resources or time

1 without at this point knowing whether we will be extended past October
2 to be able to get the kind of information that would be useful to us in our
3 discussion and deliberations.

4 So we have been particularly interested in one study that
5 is already underway and another study that is being proposed. Let me
6 just briefly mention those to you. Again these are discussed in more
7 detail in your transcript from our meeting on February the 24th.

8 One is a study that was mentioned at the very first NBAC
9 meeting. Charles McKay's study. And we spent some time talking with
10 him at the last Human Subjects Subcommittee meeting. We had copies
11 of the first three instruments, the first three of five instruments. And if
12 you are on the committee's -- the commission as a whole but not on the
13 subcommittee and would like to see those, please indicate that to the
14 staff.

15 He provided information about the other two instruments
16 and he also provided in a mailing that you received over the last several
17 days a copy of the protocol itself. So I would urge you to look over those
18 very carefully to see exactly what is being done.

19 He hopes to have the key questions, information about
20 the key questions, available by June though perhaps will not have the
21 data fully analyzed. The schedule depends in part on how complete a
22 response he hopes to get from those being surveyed.

23 At any rate on the basis of what we saw this will provide
24 some very helpful information to us and we are glad that we had an
25 opportunity to talk with him about this and also to urge him to move this
26 along in a way that could benefit us if we can get the information in time.

1 The second study we have had an opportunity to provide
2 some feedback in its development. Dana Miller, a project leader in the
3 Department of Health and Human Services, Office of Inspector General,
4 Office of Evaluation and Inspections, talked with several of us informally
5 and then communicated with me prior to the last meeting about a
6 project they are planning to undertake and complete by August of '97 in
7 time to get some results to us.

8 This particular study will focus on hospital IRBs and
9 examine the challenges they face in their efforts effectively to ensure
10 human subjects protection in the research they oversee. The challenges
11 this study will look at will include changes in the health care market, for
12 example hospital mergers and managed care, increases in private and
13 commercial funding of research; shifts in the nature of the research, for
14 example genetics research and new technologies, and newly defined
15 diseases; and the increase in multisite trials. This study will ask which
16 of these changes present the most significant challenges to IRBs and
17 their effective of functioning and what strategies IRBs have designed to
18 meet these challenges.

19 The method will be primarily interview, interview method
20 focusing on number of IRB chairs and administrators with three or four
21 IRBs studied in-depth and then others, experts who are knowledgeable in
22 the area, commercial sponsors, et cetera, would all be included.

23 Now this particular study again is one that is just being
24 set up and we had an opportunity to give some feedback and again we
25 expect to have results available to us in August for our consideration.
26 These go some distance towards filling the gap that we have in our

1 knowledge. They will obviously not answer all the questions we might
2 have about IRB functioning but they will be of some help.

3 For further information again you can look at the
4 transcript of the last meeting or I would be glad to try to address any
5 questions you might have. I will continue to report on those as they
6 develop. I would urge you to look at the instruments that Charles McKay
7 has provided as well as his protocol which again appeared in recent
8 materials.

9 DR. SHAPIRO: Thank you.

10 Any questions?

11 Yes, Laurie?

12 DR. FLYNN: I regret I was not at the subcommittee
13 meeting. Just one question. Can you talk a little bit about the scope of
14 Charles McKay's study? Is he attempting to survey all IRB's? Some
15 percentage of IRB's, large ones, small ones? What do we know about the
16 scope and range of the IRBs he hopes to capture information from?

17 DR. CHILDRESS: Does anyone want to comment on that?
18 It is very extensive. I do not -- it is not totally comprehensive but it is
19 very extensive and I am sorry I do not remember the numbers now but
20 they would appear in the transcript.

21 DR. FLYNN: Just one follow-up. I presume this is a
22 voluntary participation by the IRBs. Do we have -- does he have any
23 concern which I would have just at the outset that the larger well staffed
24 tend to be better functioning IRBs and are likely to respond? Some of
25 the IRBs that we may have some greater concern about may be less

1 likely to respond. Does he have a strategy to deal with getting that
2 range?

3 DR. CHILDRESS: Alta, did you --

4 PROF. CHARO: That is a very good point on response
5 bias and I do not recall if that was addressed but it certainly will be
6 remembered now.

7 DR. CHILDRESS: We will make a note of that and check
8 with him.

9 DR. SHAPIRO: Jim, could I --

10 DR. EMANUEL: I am sorry.

11 DR. SHAPIRO: Yes, Zeke?

12 DR. EMANUEL: I did not -- just two points. One was in
13 your list of new concerns that the IG was going to look at I did not hear
14 the mention and I apologize because I have not looked at the materials,
15 the issue of health services research which in the current era is, I think,
16 going to be much bigger than we ever experienced. The second is the
17 shading between research and quality improvement. Again quality
18 improvement does not have to go before IRBs. Often those protocols
19 look exactly like research another name and I have seen several where I
20 am greatly concerned about the fact that these things never went
21 through IRB approval because there is the quality loophole. I do not
22 know if the IG is looking at those two areas.

23 DR. CHILDRESS: At least Donna Miller did not
24 specifically mention those. However, one reason for presenting this
25 today is to get feedback because that study is still being developed and I
26 will pass that information on to her. So I would also welcome -- Charles

1 McKay's is already set. The instrument is already set so there is really
2 no input we can have there other than urging early completion.

3 This particular one, though, is still being developed and I
4 would pass that information on and I will also ask her to get in contact
5 with you. She is Boston based and I will ask her to get in contact with
6 you as well for further follow-up.

7 Thank you.

8 DR. SHAPIRO: Jim, I think the issue that Zeke raised is
9 an extremely important one and is exactly the question I had in mind.
10 So I really do want to second his suggestion. I think it is important if we
11 can have an impact that way. That area as far as I know is unexamined
12 and it is a big and growing area. So I hope we can look at it.

13 Bernie?

14 DR. LO: I would just along those same lines encourage
15 the OIG people to look at the issue we just talked about in terms of
16 studies done at their institutions that do not come under their purview
17 because they are privately funded and to the extent that we can get
18 information on how big a problem they think this is, what efforts do they
19 try to make to sort of voluntarily get those protocols submitted, what do
20 they do if there are allegations of unethical conduct of research that they
21 have not reviewed, and what measures do they -- what policy options do
22 they think might be feasible in bringing those types of research under
23 their purview, and how much extra work would it take, and do they have
24 the resources to do that? I mean, these sorts of very practical questions.
25 I think they are going to be crucial for us to try and implement this
26 statement of principle that Alta presented to us.

1 DR. CHILDRESS: Good things. And one of the changes
2 that -- or one of the challenges already presented in their discussion as a
3 result of the changes or increases in private-commercial funding of
4 research is -- that is already present. So I think this would be a good
5 way to expand that and make sure that in the subquestions that are
6 being raised here that the concerns you just mentioned are addressed.

7 DR. SHAPIRO: Bernie, anything further?

8 (No response.)

9 DR. CHILDRESS: Okay. Well, again, if you have any
10 further feedback on this let me know and I will pass it on to Donna
11 Miller. I will be talking to her again at the first of next week. So if you
12 do have something please let me know very quickly on that.

13 Now, quickly, the last items. I would simply update you
14 on our discussion of general and specific topics. We spent a fair amount
15 of time at the last meeting talking about cognitively impaired subjects.
16 You will recall at the previous meeting we had Rebecca Dressler and Bob
17 Levine present an overview of the issues that are raised by cognitively
18 impaired research subjects who may not be adequately protected by the
19 -- as a result of gaps in the guidelines. And then Dr. Shamoo presented
20 in the public session so we had three presentations at that meeting.

21 We followed that discussion up at the last Human
22 Subjects Subcommittee meeting by looking at more concrete proposals.
23 In particular, we spent some time with Jack Schwartz of the Maryland
24 Attorney General's Research Working Group that has drafted a proposal
25 for protection, for guidelines to protect cognitively impaired research
26 subjects. And with Jonathan Moreno who has been participating in the

1 University of Pennsylvania, Center for Bioethics, Working Group in
2 Research Ethics, with particular attention in one of their draft reports to
3 cognitively impaired subjects.

4 So we tried to make our discussion more concrete. We
5 are at the point now where either if a professional staff person is added
6 they would be working in this area that could help us bring this to some
7 sort of resolution, that is some proposal for our consideration and then
8 for the recommendation to NBAC, or failing that we are going to need to
9 get a contract person to prepare the kind of report that will sort out the
10 options so that we can come to some recommendations.

11 In addition to working at this very specific level at these
12 meetings we have also continued to explore general topics, concepts and
13 norms that relate especially to a revisiting of the Belmont Report and we
14 are continuing our exploration of vulnerability which have been proposed
15 as a possible key to thinking about research involving human subjects
16 across various categories and not simply in relation to populations that
17 have usually been considered to be vulnerable.

18 At the last meeting we had a very helpful discussion led
19 by Cecelia Fisher of Fordham University thinking about vulnerability in
20 relation to a relational model, one that focused on researchers and
21 subjects and relation, and seeing vulnerability as one way to talk -- to --
22 seeing vulnerability and relation as terms that we need to think about
23 together. I think that was a very helpful discussion.

24 Some have raised questions about whether vulnerability
25 could really be the key recognizing that even if it is not the key to
26 research as a whole, at least to certain populations, thinking about the

1 way in which they might be protected, what kinds of protections they
2 might need.

3 Some have proposed instead of vulnerability we consider
4 a justice as a category so we spent some time with three former staff
5 members of the Advisory Committee on Human Radiation Experiments
6 talking about the way in which justice might be understood more broadly
7 than it was in the Belmont Report as a possible key for thinking about
8 research involving human subjects. You will notice that Alta had an
9 expanded vision of justice in the statement that she presented.

10 We also spent some time talking about the changing
11 research involving human subjects and the changing paradigm of
12 research and research protections, and Eric Cassell has agreed to
13 prepare a paper in that area.

14 And then the last topic we considered was community
15 and its importance.

16 Now these topics you will be receiving over the next ten
17 days to two weeks draft proposals from the subcommittee and we would
18 like your feedback on those because we would like to get papers out for
19 contract. We would also like to get suggestions from you about possible
20 writers of such papers. So we will be asking for your feedback over the
21 next couple of weeks on that. Something we want to continue and
22 obviously it is important to do even while we continue to work on human
23 cloning.

24 That concludes my report unless the subcommittee
25 members would like to add something to it.

26 DR. SHAPIRO: Thank you.

1 Any comments from -- first of all, from any of the
2 subcommittee members?

3 Any comments from other commissioners?

4 Well, let me just say, Jim, to thank you very much for
5 your own leadership of this committee. You have a full and
6 comprehensive agenda in front of you. I very much appreciate the --
7 both the skill and the determination with which you have all faced this
8 topic and very much appreciated by us I assure you.

9 Thank you very much.

10 Before we move on to our next agenda item I really have
11 one logistical item and then one item I had meant to address in my
12 opening remarks and simply have forgotten, which I will apologize for in
13 a moment.

14 The logistical item is that we do need you to fill out those
15 calendar forms we passed around and get them to Henrietta some time
16 today so we can figure out when we will meet in April and May.

17 DR. HYATT-KNORR: Would you please be sure to mark
18 those days on which you definitely cannot make it? I just wanted to be
19 sure that that was clear. Thank you.

20 DR. SHAPIRO: We do -- as you know, we do need extra
21 meeting days because of our new assignment and we are currently
22 thinking of having one in April and another one in May. We would just
23 like to pick dates that are most convenient for most members. It is
24 difficult and I doubt we will be able to find days in which we can get 100
25 percent of the commission here. I just ask you to do your best and we

1 will try to pick the most convenient date for the most members. So get
2 that in, please, to staff today.

3 DR. LO: (Not at microphone.)

4 DR. HYATT-KNORR: We have since faxed out some
5 replacement pages but I have a couple extras that include April and May
6 so we will give you one at the break.

7 DR. SHAPIRO: We have metaphysical issues ourselves on
8 these issues but if anybody needs any forms please speak to Henrietta or
9 other members of the staff. Thank you very much.

10 What I had neglected to say at the beginning and which I
11 feel very badly about is I wanted to express on behalf of the entire
12 commission our enormous debt to the staff that has worked so
13 incredibly hard the last -- well, since we have been appointed but
14 especially in the last month or six weeks.

15 There has just been incredible demands on the staff for
16 materials, for logistical planning and many, many other things, and I just
17 want to take this moment to thank them all and to appreciate really all
18 the extra effort that they have gone to, to make sure that we are staffed
19 as well as we can be for our meeting.

20 So, Henrietta, I hope you will relay this to other members
21 of the staff.

22 Bill, I hope you will do the same.

23 All right. Let's go on to the next item on our agenda
24 which is a report of the Genetics Subcommittee. Let me turn to
25 Professor Murray.

26 Tom?

1 Formal in the sense that occasionally I am going to ask
2 people to say something starting with Zeke Emanuel in a moment.

3 Informal in the sense that if anything I say is incomplete
4 please jump in and give your perspective on what happened that day and
5 what was decided that day.

6 As I said, the meeting began with a discussion of some of
7 the ethical and normative issues in tissue sample research and Zeke
8 Emanuel was kind enough to agree to take us through our initial effort to
9 look at the various position statements that had been issued, we had --
10 I have heard different counts -- five or so, and try to pull out the
11 normative claims and principles that seemed to be embedded in those
12 statements.

13 And I would ask Zeke to give us just a brief description of
14 how he saw that part of the meeting.

15 DR. EMANUEL: Thanks, Tom.

16 Basically what I tried to do is to outline the four
17 statements that we had from the different societies, including the ELSI
18 working group and then I just indicated that most of them rely on the 45
19 CFR 46 and not much on the ethics trying to outline both intrinsic and
20 instrumental values.

21 I think at the end of the discussion through a lot of input
22 from the subcommittee we came to the idea that what we should try to
23 do is to divide samples into anonymous or anonymizable on one hand
24 and linkable or identifiable on the other hand.

25 And then to distinguish the kinds of research that could
26 be done on these and we did not make a formal or final categorization

1 but with the help of some examples that Steve Holtzman identified we
2 sort of crudely broke them down into nonstigmatizing research such as
3 research on colon cancer that might be done on these kinds of samples,
4 individually stigmatizing research, communally stigmatizing research,
5 and as we say we were not -- these were not done hard and fast.

6 The idea was to try to create regulations that might apply
7 across these kinds of research to try to create a two by three table as it
8 were with indicating how we would evaluate that kind of research, the
9 kind of protections both in terms of IRB and going back and obtaining
10 informed consent would be necessary.

11 That is where we had left it but I think at the conclusion
12 there was a sense that this did fit our intuitions and that we could work
13 with this crude division and try to refine it but that many of the
14 subcommittee members felt that it really did begin to look like we could
15 develop a consensus around that kind of conceptualization.

16 DR. MURRAY: Thanks, Zeke.

17 At any point I invite other members of the subcommittee
18 to add their perspectives or any member of the commission who might
19 have a question or a comment so this is very open.

20 Steve?

21 DR. HOLTZMAN: Just to expand a little bit on what Zeke
22 said. I think the conceptual breakthrough on the issue of anonymous we
23 had was that all of the statements think of anonymity or anonymizable in
24 terms of with respect to the individual subject. And that since there are
25 clearly kinds of research which while anonymous or anonymized with
26 respect to the individual subject nevertheless is not anonymous with

1 respect to a community we need to reconceptualize anonymous as
2 having that other vector.

3 And then on the other axis that whereas traditionally
4 people have distinguished the kinds of research vis-a-vis genetic research
5 versus other kinds of research that the real issue is what is the harm that
6 can come from the research? And that is why we have this notion of
7 stigmatizing versus nonstigmatizing.

8 So colon cancer research could be stigmatizing. The
9 specific example we were talking about is that the way the samples are
10 collected it is truly anonymous. It does not -- an example I was using in
11 that case did not involve the ability to pinpoint a community.

12 DR. MURRAY: Thanks, Steve.

13 I think it is fair to say that one of the concepts we began
14 to entertain very seriously was the potential for some sort of community
15 consultation for the acceptability of tissue use for certain purposes
16 where perhaps although specific individuals' identities might not be
17 revealed, information about membership in certain community or
18 communities might be go along with the data and might have been
19 sensitive within that particular community.

20 It was, I thought, a very fruitful session as was the entire
21 meeting. I should also note that Dr. Mark Sobel of the National Cancer
22 Institute took advantage of the public testimony period to offer his
23 perspective on how pathologists understood the concepts of anonymous
24 and anonymized, and Dr. Sobel has promised to give us a written
25 statement which will sort of lay out that position.

26 Anything else on the ethical side?

1 Larry?

2 DR. MIIKE: Yes. Since I was not able to be there, am I to
3 conclude then that any of the formal analysis and presentations by the
4 various groups are insufficient for our purposes?

5 DR. EMANUEL: What I think is present in -- and I sent out
6 a chart which tried to summarize the various positions. The first thing
7 to say is that almost none of them really talk about ethics. They almost
8 all talk -- rely on the regulatory language to inform and in that sense we
9 do have to go one step back because the regulatory language, of course,
10 needs its own justification. It may not have gotten it right.

11 There are -- I also have tried to indicate there were some
12 levels of disagreement among the statements.

13 Third, it seems to me that the kind of distinction that we
14 have drawn or that we seem to be heading in the direction of drawing
15 seem more fruitful to most of the commission members than the
16 distinctions drawn by most of the statements. The statements are
17 helpful for areas of overlap and areas of disagreement but I do not think
18 they go far enough. I think that would be a fair assessment and we think
19 by rethinking the different kinds of research we can actually be more
20 helpful and more ethically settled in our recommendations.

21 DR. MURRAY: I take it that is a no or rather a yes to your
22 question which is are any of them -- are they all somewhat inadequate?
23 Yes, they all seem somewhat inadequate.

24 Alta?

25 PROF. CHARO: Zeke, Steve, the others, can you help me
26 understand better the difference between stigmatizing and

1 nonstigmatizing as you are using it here? What kinds of research or
2 tissue samples would you consider stigmatizing and which ones not?

3 DR. EMANUEL: I am not sure we can give you a full
4 elaboration. Again, I mean part of this happened at sort of the tail end
5 of the discussion but one of the things we wanted to suggest is that the
6 nonstigmatizing -- for example, in an anonymous sample is collected in a
7 way that you cannot identify the individuals, you cannot -- it is not
8 connected to a community where the results would be not specific or
9 pointing to anyone.

10 So they would not lead to a personal self doubt, to a
11 social stigmatization or to an overt discrimination for the groups on
12 which the research is done. Whereas the individually stigmatizing, either
13 because you know from whence the sample came identifiably or you can
14 trace it back by descriptions.

15 For example, we took samples from people who were
16 tested for Tay-Sachs. That created a different level of concern even for
17 the anonymous as Steve was pointing out. Now we happen -- I mean, I
18 think -- again this was a crude attempt to try to articulate and we have
19 not refined it.

20 PROF. CHARO: Okay. So to make sure I am just getting
21 it now, it is not the word "stigmatizing" in the sense of some things are
22 embarrassing and other things are not because of the topic area, like
23 colon versus sexual? That is -- I got misled by the example of the colon
24 cancer. It is really about a kind of different way of cutting what has
25 usually been referred to as anonymous and nonanonymous, and
26 identifiable, and looking at it slightly differently but with the same

1 concerns in mind about privacy violations. It is really about degrees of
2 privacy violations?

3 DR. EMANUEL: No, not only privacy. I mean, what we --
4 what I tried to do was to distinguish the fact that there are some benefits
5 and harms and under the harms ones that arise out of certain elements
6 of self-doubt, both for individuals and communities, certain elements of
7 stigmatization...that are short of overt discrimination, and then elements
8 of discrimination. So we were trying to identify ways in which you would
9 balance these various goods, the goods of progress in research,
10 advances in medical therapeutics, again certain harms. This outlines
11 where places, I think, where the harms would be very preponderant
12 although maybe not overwhelming.

13 PROF. CHARO: Thanks for the clarification.

14 DR. BRITO: Yes, Zeke, I just want a clarification because
15 we get all these materials and if they are not labeled with the author's
16 name it is very difficult to -- your outline is titled, "Analysis of positions
17 on genetic tests using stored samples," right?

18 DR. EMANUEL: Right.

19 DR. BRITO: Okay.

20 DR. EMANUEL: And the comments I have just made do
21 not appear in that outline in part because they came as a result of the
22 conversation and they were -- you know, if I had been smarter they would
23 have been included but I was not smart enough and more brains are
24 better than one brain working alone. So we actually did -- I mean, I
25 thought in that sense it was a very fruitful meeting because various

1 people pointed out how we might synthesize the various harms and
2 concerns.

3 DR. BRITO: Okay. So my --

4 DR. EMANUEL: Totally appropriate.

5 DR. BRITO: -- search for those comments is --

6 DR. MURRAY: Well, the good news is that despite
7 beginning a discussion about serious ethical issues at 7:00 a.m. it was
8 actually a very fruitful discussion. The bad news is it was the easiest of
9 the three major topics, I think, of the day. So let's move into the other
10 two.

11 The second major topic was how to ascertain good
12 information about public beliefs and values that would be relevant to the
13 use of such tissue samples in research and we had two guests to help us
14 begin that conversation, Dr. Dorothy Wertz and Dr. Chuck Denk. It has
15 occurred to me you can sort of divide the questions and structure our
16 discussion about facts and values, and there were at least two kinds of
17 fact questions that we tackled.

18 One is could we design a high quality empirical study to
19 get at such public attitudes and beliefs and secondly if we could design
20 such an empirical study could we get it through the various approvals,
21 whether they be IRB approvals or Office of Management and Budget
22 approvals rapidly enough to be able to integrate it into a report which we
23 still hope to deliver some time next fall or at the earliest by the end of
24 this year. I mean, at the latest by the end of this year.

25 The value question began to look like what might we learn
26 of value from the various -- by from the various means of ascertaining

1 public views. It turned out to be a trickier question than perhaps many
2 of us had initially thought.

3 We learned from Dr. Wertz and Denk a number of things
4 that I thought were helpful. If we had any delusions, which I do not think
5 we did, but if we had any delusions about getting public permission for
6 various kinds of research uses of human tissue we should not presume
7 to get that by opinion polls.

8 The polls are not morally authoritative and polls are very,
9 very different from informed consent. Polls do help map public
10 attitudes. They identify problematic issues and help to distinguish those
11 from issues that are relatively unproblematic in the public's mind and
12 they may also be helpful in discerning group differences in responses to
13 particular questions.

14 We received a lot of advice about what sort of questions
15 to ask, advice about potential researchers with whom to collaborate, and
16 a range of cost estimates if we were to ask a number of questions in a
17 national opinion poll. We were also told that it would take a minimum of
18 four to six months to get anything through the Office of Management and
19 Budget, and since that took us beyond our reporting date that seemed
20 problematic.

21 We were told there may be an exception if you surveyed
22 patients. We were also told by Dr. Raub that, well, he has on occasion
23 had success in getting things through more rapidly and we were told by
24 a number of people including Dr. Emanuel that it is hard to construct a
25 really good opinion survey, do it and analyze the results in less than a

1 couple of years. We were pretty sure that that was beyond the report
2 date so we -- that caused some concern.

3 In the end we settled on what I recall as three possible
4 tracks. One that I believed achieved a consensus on the subcommittee
5 was to -- rather than -- this first track is not a formal study but it is a set
6 of local hearings, local in the sense that we would ask as many of the
7 members of the subcommittee as is willing to do this to have a hearing
8 in their local area.

9 We are aware of some of the limitations of kind of
10 community dialogue efforts and some of us have participated actively in
11 such efforts in our communities. One of the principle limitations of
12 these community dialogues is that you just announce it and issue an
13 invitation. The people who tend to come are people who look a great
14 deal like the members of this commission anyway.

15 So it seemed important if we were to try to get a little bit
16 broader view of public opinion and attitudes about tissue sample use for
17 research we had to make some affirmative effort to try to draw in to give
18 testimony and to participate a more representative group of people in
19 the community, and some strategies were discussed as to how that
20 might happen.

21 We might, for example, contact local researchers and say
22 would you talk to some of the people whose tissue you may be using in
23 research and see if they would be willing to come forward and talk to one
24 or more commissioners at a local hearing. I believe we are going
25 forward with that although we have made no concrete plans to put it in
26 place but I believe that was the consensus of the subcommittee.

1 Now let me stop there for a moment and say is that
2 correct or did anyone wish to add to that?

3 PROF. BACKLAR: It is important to note that we -- that in
4 our informal discussion about this we would contact our IRBs first before
5 we contacted researchers. We would contact the IRBs to see who was
6 doing -- if they would give us information about who was doing research
7 on this kind of research and go from there. So it would -- we were going
8 to move cautiously.

9 DR. MURRAY: Thank you, Trish.

10 Anyone else?

11 So as I understand it then we will proceed with the help of
12 the NBAC staff to plan these series of local -- the mini-hearings and that
13 will at a minimum give us a sampling of public opinion. It will not in any
14 way be a representative sample in the way the statisticians think about
15 representative but we hope what will come out will be if there are
16 particular fears out there, for example, that the commission might not
17 otherwise have thought of and that we will learn about those. If there is
18 particular hunger and support of research of this kind we would also like
19 to know about that. We are not just looking for the negative. We are
20 looking for those considerations that are out there in the public that we
21 should be aware of.

22 Trish?

23 PROF. BACKLAR: And the discussions would be case
24 based. We would use the same cases throughout the country as we did
25 this so that it would be qualitative research in the sense it could be

1 analyzed in that sense. We would keep some control about what the
2 kinds of questions were.

3 Bernie, right?

4 DR. MURRAY: Thank you. That was -- so that was one
5 track.

6 Track two was to, in fact, pick up on this idea of a really
7 well constructed public opinion survey. Not try to get it done in a hasty
8 fashion but rather to do it right and to have it ask questions that are
9 pertinent not just to the tissue sample report, it would be too late to
10 incorporate in the report in any event, but with the subcommittee's
11 larger agenda in ethical issues in genetics, genetic information and gene
12 patenting. We thought this was a very good idea and we would like to
13 begin working with the staff in an effort to construct and execute such a
14 survey.

15 Any comments from other members of the subcommittee
16 about that? All right.

17 The third possible track was discussed. Namely a small
18 scale study. As I recall it and my recollection may not be entirely
19 correct, it was to have been a small scale interview study, perhaps exit
20 interview studies of patients leaving hospitals that might be asked -- ask
21 them do they know what they have just consented to, what uses would
22 they regard as quite acceptable, were there any uses they would -- to
23 which they might object and other such questions.

24 Now this -- if it were to be done it would be a real study.
25 It would have to go through appropriate IRB review. We would have to
26 find an investigator to take it on. We would have to get the money for it.

1 If we are to do that we probably need to begin that virtually immediately.
2 I do not recall that there was a complete consensus that this would be
3 done. I think it was regarded as desirable and I would very much
4 appreciate anybody's comments about this third and, I think, less
5 decisively treated track.

6 Zeke?

7 DR. EMANUEL: I thought there was a fourth track which
8 you have not mentioned, which was the idea of doing the following
9 things: One was to talk to one of -- to someone out there who may be
10 one of the two people who we brought in, Chuck Denk or Dorothy Wertz,
11 to do a survey of what actually exists for us. There was a feeling by us --
12 I think especially by Chuck if I am not mistaken -- that there actually was
13 some useful literature already that we might -- or polls that had a few
14 questions that we might draw on, and that could be assembled relatively
15 easily and cheaply.

16 And second that we might try to contact investigators
17 who were about to send polls out into the field and that Alan Weston at
18 Columbia was a man mentioned who is about to send a survey out into
19 the field on genetics, some of which is related to confidentiality, and to
20 see whether they might include some questions for us. He is working
21 with Lou Harris and that was another possibility. That would be costless
22 theoretically if he could be persuaded to do it. And since he is already
23 through the IRB process, et cetera, might avoid many of the delays that
24 we might face if we did it ourselves.

25 DR. SHAPIRO: Laurie and then Diane.

1 MS. FLYNN: I would love to hear just a little bit more
2 about the apparent less than full endorsement or support for the third
3 track which was of interest to me in terms of interviewing individuals who
4 may have directly participated to understand what they find acceptable
5 and what may be their concerns. Can you describe a little bit what those
6 cautions were?

7 DR. MURRAY: I think only to -- the only questions were
8 could we do it in time. No one doubted the desirability of doing it. It
9 was a matter of could we get the researcher, could we get the approvals,
10 could we get the funds, could we get the study designed, executed and
11 reported back to us really by this summer?

12 DR. SHAPIRO: Diane?

13 DR. SCOTT-JONES: I wanted to mention briefly some
14 information that was circulated to you either last night or this morning.
15 This is from a group in Michigan that some of you may already know
16 about that is, in fact, already trying to assess the opinion of
17 communities, seven communities in Michigan regarding genetics
18 technology, and it might be useful to the subcommittee or to the
19 commission more broadly as we try to assess public opinion on cloning
20 or on any issue related to genetics technology.

21 This group has already done a series of what they call
22 dialogue groups throughout the State of Michigan. They have seven
23 communities already identified and they have overcome some of the
24 problems that we have already mentioned that would happen if you
25 attempted to assess the public. One is that many members of the public

1 will not be well informed already and will not have a well formed opinion
2 about genetics technology.

3 But what this group does is a series of six evenings of
4 informing the groups. They talk to the groups about the technology so
5 that the groups before they form an opinion have information on which
6 to base the opinion. They also overcome the people like us problem that
7 you mentioned, Tom, in that they do have representative samples,
8 samples that range in socioeconomic status and in ethnic group
9 membership, and other variables.

10 So they have made a start at what it seems we need to do
11 both in the subcommittee and in the commission as a whole and it might
12 be useful either to link with this group because we could do that at a
13 very low cost. They are already funded for this project and they are
14 actually funded through the Center for Human Genome Research.

15 DR. SHAPIRO: Thank you. Tom?

16 DR. MURRAY: Thanks, Diane.

17 Bette?

18 MS. KRAMER: Tom, I have not had an opportunity to
19 report to you but I did contact Alan Weston at Columbia just, I guess,
20 Tuesday afternoon and it appears that we would not be able to attach to
21 his survey. For one thing it is pretty much set to go and it is going to go
22 on April 1st. In talking with him it seemed as though it would not be
23 possible for us to put together questions to be added on at this time and
24 there also was a substantial cost factor.

25 I did talk with him a little further about some of our other
26 interests and he reported to me that he has an inventory of 100 pages of

1 questions that have been asked in surveys relating to Human Genome
2 Project initiatives that he would be very happy to share with us and I told
3 him that we -- somebody from the staff or somebody from the
4 commission would be back in touch with him and he was very generous
5 in offering to appear before us and give us some guidance on these
6 issues.

7 DR. MURRAY: That is a gem. Thank you, Bette. That
8 actually helps to satisfy Zeke's point about how useful it would be to
9 gather already collected public opinion data. So that partly at least
10 accomplishes that job as it relates specifically to genetics so that is
11 good.

12 Diane, thanks also for the identification of the Michigan
13 group. I think that is something that -- speaking for myself -- I would
14 very much like to see us pursue.

15 I do not see that as -- it is not an either/or between that
16 and say these mini-local hearings that we talked about having. I think
17 they could both be very valuable sources of information.

18 DR. SCOTT-JONES: I would also like to add that the
19 Michigan group is willing to insert questions from us if we choose to go
20 that route and they are willing to do it very quickly. They have another
21 series of their groups that will meet at the end of this month and the first
22 of April and they could conceivably give us information with a week's turn
23 around time from the analysis of these groups.

24 They also have their groups meeting with policy makers
25 within the State of Michigan, too, so representatives from these
26 communities are being oriented to thinking about policy, about

1 legislation that might result from the opinions that they form in the
2 community groups. So it seems like a great model for both assessing
3 public opinion and trying to inform the public as well.

4 DR. MURRAY: Thank you.

5 I know some of the people at least involved in that
6 Michigan effort and they are very dedicated and very serious, and they
7 are good listeners. So those are all characteristics I value. I think it
8 would be useful.

9 Let me try to recap since I think we should move on to
10 the next major topic in our report.

11 Number one that we will do these mini-hearings. Is that -
12 - is there any dissent from that? Does everyone agree that that is
13 something we should pursue?

14 Number two, we will begin the development of a well
15 crafted public opinion survey, at least begin the explorations of how we
16 might do that and how we might pay for it and such.

17 Number three that do I -- and on this I actually would
18 appreciate some very direct feedback. Should we move aggressively to
19 try to create -- to try to initiate such an exit interview, patient study? We
20 should try to -- I am not -- I cannot promise that we can pull it off but
21 should we -- I am certainly willing to work together with staff and
22 perhaps other members of the subcommittee could work with me to see
23 what we can -- just how quickly we could move to get that if we can, in
24 fact, get it approved and funded, and completed in time.

25 DR. SHAPIRO: I have some at least initial responses to
26 these. I do not want you to take them too seriously because I have not

1 fully thought out what is possible but it seems to me there really are five.
2 You started off with three but there are now five on this list.

3 As I understand it there is the set of local hearings.
4 There is the long-term survey which may come at some stage further on
5 down the road. Then there is the exit interview study, the survey of what
6 exists, which I guess Zeke encouraged us to do, and the Michigan group.

7 I am just concerned with the amount of time that the
8 subcommittee members have to devote and it seems like a very, very
9 large agenda. It is the latter three that seem to be most that will pay the
10 early dividends and are most do-able. That is just my reaction.

11 It is not to say the others are not important and to go
12 ahead but I am just -- given the time interval we have that might just be
13 the best three to focus on in the immediate future. The long-term one I
14 think is very interesting and we are behaving as if we are going to go
15 beyond October even though as I understand in some legal sense that is
16 not fully determined yet but we are certainly behaving that way.

17 And the local hearings, which are always an attractive
18 idea, to do properly so that you can really infer some information itself is
19 really quite a -- it has to be structured in some way. I am a little bit
20 concerned about whether we can really mobilize that in time but that is
21 just an initial reaction. I leave that to you and the committee to decide.

22 DR. MURRAY: It is an important point and why don't we
23 pick up on that for a minute. Should we do these mini-local hearings?
24 Would it be sufficient to use the already collected opinion data? Some of
25 the work on that has already been done by Alan Weston I gather who is
26 willing to share it with us. Should we pursue the work of -- the

1 collaborative work with the group in Michigan, which is part of the United
2 States but, you know, we represent more regions than just Michigan?
3 Should we try to do these mini-hearings? I think those are the ones that
4 at this point are up for serious discussion.

5 Bernie?

6 DR. LO: Yes. I think obviously we have a real problem
7 with needing to set priorities in terms of our time and resources. I would
8 certainly support trying to work with the Michigan group because they
9 have done a lot of the infrastructure work, I think. I guess, let me put a
10 plug in for local hearings in a sense that is more akin to informal
11 conversations that we have just to make sure we are not totally divorced
12 from people in the community.

13 In point of fact, at these meetings and at our home
14 institutions a lot of colleagues come up and say can I talk to you about
15 X, Y or Z. And a number of these conversations are frankly about
16 research or DNA testing of stored tissues.

17 I would just like to get the same kind -- some kind of
18 feedback from people who are not scientists but who will be involved as
19 the donors or the progenitors of this tissue. So even if it is not
20 generalizable in the sense that it is research I just think it is good for us
21 to talk to and especially to listen to people who might be affected as
22 potential subjects.

23 To do it in as rigorous a way as possible so that we have
24 sort of, you know, a common set of themes we are trying to test out but
25 that I think that we need to do something given the constraints we have
26 and be realistic about what we can accomplish. I think it is going to be

1 very, very different from publishable research but I think something that
2 might just help us keep our feet on the ground.

3 DR. MURRAY: Trish, and Eric, and Larry.

4 PROF. BACKLAR: I concur with what Bernie says
5 particularly because I am very concerned that we do not get our
6 information from just one part of the country and that this is an
7 opportunity for us to do it in different places. And as we well know from
8 research if you do research in South Carolina it may come out very
9 differently, your responses may be very different from that in San
10 Francisco. So I urge that we make the effort even though we do not have
11 much time personally.

12 DR. MURRAY: One of my all time favorite cartoons shows
13 a car on a road with a billboard that says, "Leaving California, resume
14 normal behavior." Presumably they do not have the same thing in
15 Michigan but I think your point about potential regional differences is a
16 good one.

17 I also say that if we did the local hearings I would not see
18 this as an obligation for every member of the subcommittee. This is for
19 those members of the subcommittee who want to do it and believe they
20 can do it in their communities. So if even half of the members or
21 roughly half did it I think that would -- and there was a spread
22 geographically that would accomplish our goal.

23 Trish?

24 PROF. BACKLAR: And I think Bernie's point, and we had
25 discussed this with David Cox, too, of making the cases very, very clearly

1 being as rigorous as one can be in going through this so that we really
2 have something to compare.

3 DR. MURRAY: Thanks.

4 Eric?

5 DR. CASSELL: Because there is ongoing surveys and
6 because of the Michigan group process I make a plea for finding out
7 what they are finding out and then going on to a second level of it
8 because I think assuming that we go beyond October you need some
9 information about what people really do feel before you go in deeper into
10 it so you do not get a relatively superficial stage in this process. I think
11 you ought to let them do your groundwork for you, the people who are
12 doing it now, and then go in the next level.

13 DR. MURRAY: Eric, would you clarify for me, when you --
14 are you saying with respect to the Michigan -- relation of the Michigan
15 work to other work, do you mean to say that before we say do the big
16 public opinion survey we should have the results of the Michigan work or
17 do --

18 DR. CASSELL: Yes.

19 DR. MURRAY: -- you mean that to apply even to the
20 hearings or to the small study?

21 DR. CASSELL: Well, I think you ought to get as much
22 data at this level as you can about what people's concerns are so that
23 your survey is done at a cut deeper than that.

24 DR. MURRAY: Thank you.

25 Larry wanted to speak.

1 DR. MIIKE: You started off the discussion by
2 distinguishing between public opinion and public values. What are we
3 getting at in these? Now I am a little confused about what we are going
4 to end up with when we do all of these activities? By the way, to the
5 extent that I would try to do one in Hawaii because Hawaii is very much
6 like Michigan but I thought you would be interested in it.

7 (Laughter.)

8 DR. MURRAY: Would other members of the commission
9 be invited to come to this hearing?

10 (Laughter.)

11 DR. MURRAY: Purely on an intellectual interest of course.

12 DR. MIIKE: If you have enough frequent flyer miles.

13 DR. MURRAY: That is a very good question and it was a
14 question that we pressed our two expert consultants on, Drs. Wertz and
15 Denk, what can you get out of such surveys. They said one thing you can
16 -- or out of various efforts to find out what people think you can get some
17 information about what people believe, even about what particular facts
18 they believe. You can get some information that will help you sort of
19 map their areas of concern and those things about which they are
20 worried and those things about which they just do not think are, you
21 know, worth a great deal of their concern and effort.

22 You can get some sense, I suspect, of what kinds of
23 judgments they would make or how they would balance certain values,
24 perhaps the importance of pursuing research versus the importance of
25 assuring, you know, privacy. So we would hope to get at least some
26 information about each of those things. My own primary hope is, as I

1 said, I think we are, you know, this is a very imaginative and very broad
2 group but I do not think we are going to think of everything that might
3 occur to, you know, numbers of Americans. I would really like to give
4 people a chance to come in and say, "Well, have you thought about this?
5 This is something that worries me."

6 Now it might be though that the worry is extremely well
7 taken. It might be that the worry is based on a complete
8 misunderstanding of what the whole issue is about but we need to hear
9 that in any event. Even if it is a misunderstanding we need to be able to
10 say in the report, you know, we have heard about this but this is not
11 really relevant to this for these reasons. So those are my goals.

12 Others? Bernie?

13 DR. LO: Just to pick up on what Tom said. I think the
14 concern -- my concern would be that we just miss issues that the public
15 or at least some members of the public feels very strongly about or is
16 put together in a way that is a little different than what we have put
17 together.

18 So I would not want us to have a lot of deliberations that
19 afterwards people could come back and say, "Well, what about this point
20 or did you think of this, or you do not seem to realize that we care very
21 strongly, much more strongly about this issue than your report seems to
22 indicate."

23 What we do with that information I think is the next level.
24 Just because people mention it does not necessarily mean that we adopt
25 it or agree with it. I think it is important that we not miss values,

1 feelings and new ways of looking at things just for not having heard
2 them.

3 DR. MURRAY: Bette?

4 MS. KRAMER: I think I need to clarify for the committee
5 that with all of the work that has been done according to both Dr. Wertz
6 and Dr. Denk who were there and then also when speaking with Alan
7 Weston, nobody has polled or surveyed specifically on the issue of public
8 attitudes towards the use of stored tissue. So we are going to get
9 information back on what has been done around other types of attitudes
10 towards genetic research but not with -- not to that issue specifically.

11 DR. MURRAY: Because we have about 15 minutes left
12 before the break and I think it very important that we not intrude into the
13 next part of the meeting when we take up cloning, if it is with your
14 permission I will close this part of the conversation. We can continue it
15 via all sorts of means of communication to reach a final decision but I
16 think that this has been a very helpful airing of possibilities.

17 The third --

18 DR. SHAPIRO: Could I just ask a point of information on
19 the proposed local hearings? I got two different feelings. One is a kind
20 of more informal kind of process which would take place and each
21 hearing have its own characteristic depending on the locale, the persons,
22 people it attracted, so on and so forth, vis-a-vis what I thought I heard
23 Trish saying, which is, in fact, what you have in mind is a series of cases
24 to structure each of these meetings. I am just asking for information
25 which of those do you have in mind?

26 PROF. BACKLAR: The second.

1 DR. SHAPIRO: Thank you.

2 DR. MURRAY: I would hope that we would have both that
3 but we would also have an opportunity for people to come in and just
4 simply state what they feel but the structure would be good.

5 PROF. BACKLAR: The reason for the structure is that we
6 would like to have some ability to compare from region to region. It
7 would help us.

8 DR. MURRAY: All right.

9 There still are questions to be addressed about the
10 precise design and implementation of this but you are right in picking up
11 on the ambiguity there.

12 The third major topic that we discussed at the 5 March
13 meeting were religious perspectives. Many members of the commission
14 have been well aware that there are on the record expressions of a
15 variety of religious views on a range of issues concerning genetic
16 research and biotechnology. We were utterly convinced that it would be
17 wise to hear and consider the views of faith traditions on the issue of
18 human tissue samples.

19 To help us in our initial cut at those set of views we asked
20 Dr. Ronald Cole-Turner who has done work trying to understand religious
21 views about the Human Genome Project, the Rev. Dr. Ronald Cole-
22 Turner, to come in and help us begin.

23 Dr. Turner was both -- well, it was an interesting talk in
24 that he identified a rather large and ambitious potential agenda and I
25 will just try to summarize it very briefly here. He identified at least six

1 major themes through which religious traditions might have something
2 to say about even an issue such as human tissue samples.

3 The first theme was the tradition's view of the body and at
4 least in certain Protestant traditions the body is regarded as sacred but
5 gifts of the body are regarded as good and that would certainly cover --
6 that covers organ donation but it might also cover the use of tissue for
7 research. That is just an example.

8 The second broad issue had to do with families. How the
9 tradition understood families and how the tradition might deal with the
10 question of the family's participation in this kind of research and also the
11 potential problems that might arise when you have one family with
12 members of different religions in the same family, different traditions.

13 A third major theme was health. There has been renewed
14 interest and spiritual connections to health and renewed religious
15 concerns about physical health.

16 A fourth issue had to do with stigmatization. We have
17 already had a preliminary discussion of that.

18 A fifth major theme had to do with the faith tradition's
19 attitudes towards scientific research. There is a range of views among
20 theologians and among faith traditions about the relative significance of
21 scientific research and about the religious significance and value of
22 scientific breakthroughs.

23 The sixth and last major theme Dr. Cole-Turner
24 mentioned was the trust in public institutions. Within at least some faith
25 traditions there is less trust of public institutions than in others and, in
26 fact, in certain faith traditions the fallenist or sinfulness of humankind

1 means that they can expect everyone to disappoint us, even public
2 officials, and we should bear such general beliefs and things in mind as
3 we move forward.

4 That session was to me a bit awesome because I thought
5 there was no possible way we can begin to do justice to such massive
6 themes given the wide variety of religious traditions that exist in the
7 United States. It would take several lifetimes of scholarship and even
8 that would probably fail to exhaust what could be said insightfully about
9 these things.

10 Nevertheless, there might be some specific
11 considerations that particular religious communities might offer that we
12 ought to hear that bear more directly and immediately on the issue of
13 what should public policy be with respect to tissue samples. I think we
14 will -- we reached a decision I believe to have the somewhat more narrow
15 view, that is to make inquiries within religious traditions about what
16 beliefs they might have that would specifically touch on our more
17 narrowly constructed charge.

18 And then the question arose what is the best method to
19 do that? I mean, initially I at least had thought, well, we would
20 commission one or two papers. That did not seem to be the method of
21 choice. Instead my notes indicate that we decided and agreed that what
22 we would try to do is convene a meeting of a variety of religious thinkers
23 from a variety of faith traditions and pose to them some fairly specific
24 questions that would pertain to the use of human tissue samples for
25 research. I think that is the method we are going to pursue.

1 Does anyone have a different recollection of our
2 deliberations or decisions?

3 DR. COX: Tom, I do not have a different recollection but I
4 just have sort of a coda to put on that, a person coda, and that is that
5 based on the presentation which I thought was very thorough and
6 accurately represented by you that it seems clear to me that
7 presentations that we have are not going to be uniformly representative
8 of one or another faith but one or another belief within a particular faith
9 because the description as I heard it was that there is a greater diversity
10 of opinion within faiths on this -- perhaps on these kinds of issues than
11 between them.

12 DR. MURRAY: Thank you for that, David.

13 Yes, faith -- by faith traditions we do not just mean say
14 Protestantism, all things considered, there are many. There is a wide
15 variety of positions within each of the specific denominations in
16 Protestantism just for example. There may be -- there are similar
17 spreads in other faith traditions so we wanted to take all that into
18 account.

19 MS. _____: Excuse me. Since there are no
20 representatives from animal welfare groups we would like to make a
21 quick statement here.

22 I would first like to ask you a question. Have you all
23 considered that it might not be ethical to treat animals like test tubes
24 with tails? Apart from the fantasy of what cloning might mean for people
25 we need to look at what cloning experiments will mean for animals.
26 Sheep after all are not commodities to be produced like tomatoes. They

1 are feeling sensitive beings. We must learn to respect them rather than
2 use them for every fool thing.

3 Do we have the right to mutate and mutilate animals for
4 dangerous experimental gains? Well, health officials in England just
5 banned animal to human transplants because of the very real possibility
6 of unleashing a new deadly virus on the human population. You all know
7 how dangerous this game is.

8 Grant hungry scientists are already talking about "cures"
9 from everything from lung disease to hemophilia but before we swallow
10 the claim that babies might be saved it is important to realize just how
11 unlikely and dangerous this might be.

12 We are urging you, the commission, to include animals in
13 the proposed ban on cloning for the health of ourselves, for our children
14 and for the animals.

15 Thank you.

16 DR. SHAPIRO: Thank you. Let me just say for -- do you
17 mind turning off your microphone there, please? I appreciate your
18 statement. Let me just say that we appreciate what you say. We have a
19 public comment session later. If you would like to appear you are more
20 than welcome to appear. We will all give very careful attention to your
21 thoughts. We would like, however, at this time to return to the agenda
22 that we are currently pursuing.

23 Thank you very much for your statement.

24 MS. ____: Well, I would just like you to at least spend
25 some time here talking about the effects that these dangerous
26 experiments have on animals. I know that this is a meeting to talk about

1 the dangers of human cloning. I know that we are all worried about what
2 lunatics might do who want to, you know, recreate themselves. But we
3 really need to start talking about whether we have the right to use
4 animals and abuse animals the way that people have been doing it and
5 trying to -- I mean, this is absurd. It is absurd. Okay. And not one word
6 has been said about how this will affect animals and even how it will
7 affect people in the long run.

8 I demand that you start talking about the animals now.

9 DR. SHAPIRO: We are not talking about human cloning
10 or animals right now. I really appreciate your statement but we are
11 going to return to our regular agenda. Thank you very much for your
12 comment. We are not talking either about human cloning or issues of
13 animals at this moment. Thank you very much.

14 MS. ____: That is what you are here to do, however, is
15 to talk about the ethics of human cloning. Let's talk about the ethics of
16 cloning animals. Let's talk about the ethics of mutilating animals for
17 profit because that is what is all about. It is about curiosity and
18 notoriety. He is hoping to make money off of us and make a killing. He
19 is probably going to do that because you guys all support the use of
20 animals.

21 DR. SHAPIRO: If you are unwilling to let us return to our
22 agenda we will just adjourn the meeting. We really have an agenda. My
23 understanding is you were going to come in to observe the meeting.
24 This is not the time for public comment. We really do need to return.
25 We published our agenda in the Federal Register and we need to return
26 to that.

1 MS. ____: Right, I understand but, however, you know, it
2 would be really nice if animal welfare advocates were included in
3 discussions that affects millions of animals but unfortunately they are
4 not. Why is that?

5 DR. SHAPIRO: Our discussion will take place over a long
6 period of time and we will consider everything you have had to say but
7 we really must return to our agenda now. I am sorry.

8 MS. ____: There has not been one word said about the
9 ethics of using animals. Not one. I understand you are trying to change
10 the subject and that is fine but why don't we have a dialogue about this
11 now?

12 DR. SHAPIRO: Ma'am --

13 MS. ____: Since you have got some animal advocates in
14 here let's talk about it.

15 DR. SHAPIRO: We are not going to talk about that now.
16 We want to return to our agenda. I do not want to have to ask security to
17 come in to allow us to return to our business but I will do so if
18 necessary. We really must return to our agenda. Thank you very much.

19 MS. ____: Well, we would like to engage in a debate
20 with you about the use of animals and the ethics of using animals.
21 Animals are not test tubes with tails.

22 DR. SHAPIRO: I will just repeat once again we are not
23 going to do that now.

24 MS. ____: Well, we are not leaving until you do.

25 DR. SHAPIRO: All right. Thank you.

1 We will take a temporary recess in our meeting. Thank
2 you very much.

3 (Whereupon, a brief recess was taken from 10:13 a.m.
4 until 10:37 p.m.)

5 DR. SHAPIRO: I would like to call our meeting to order.

6 I hope -- let me see how many of our commissioners do
7 we have reassembled? I presume the others will be here shortly.

8 I would like to just with respect to our agenda we can, in
9 fact, get ourselves pretty much back on time by assuming that we just
10 had our coffee break which I will assume and we can get ourselves at
11 least close to back on time.

12 I just want to apologize again to Professor Murray for
13 having -- for the interruption of his report. Tom, I will just turn to you to
14 see if you have any -- a few words just to wind up the report of your
15 subcommittee.

16 DR. MURRAY: Thanks, Harold.

17 We really, I think, have finished sufficiently the discussion
18 of that third major theme which is how to get in religious perspectives
19 and how to begin to consider religious perspectives for our report on the
20 ethics of the use of human tissue samples in research. We will try to
21 assemble a panel at a future subcommittee meeting, a panel of religious
22 thinkers representing a variety of faith traditions present in the United
23 States.

24 So just in summary we have a rough -- very tentative sort
25 of outline of what our report would look like. I will end just by presenting
26 that. If there is anything urgent that anyone wishes to say, say so now,

1 but I think in order to be able to turn back to the -- turn to the discussion
2 of cloning I would like to keep that discussion of our report brief.

3 Here is the rough organization: First would be a
4 descriptive chapter. This is something we would presumably
5 commission and we want it to say what kinds of tissue samples are
6 there, under what circumstances are they gathered, by what -- from what
7 kinds of people, and what kinds of science are they used for. This is a
8 part of the debate that I think has -- part of the picture that has not been
9 fully articulated. So we would very much like to know what it is that --
10 what scientific value these tissue samples and tissue collections have.

11 We might also want to include in that descriptive chapter
12 the kinds of cases that Zeke Emanuel introduced for our deliberations at
13 the 5 March meeting that help us to think through in more concrete
14 terms just what kind of ethical challenges, as well as what sorts of
15 scientific value these tissue samples might have.

16 Now the order of the remaining chapters is open for
17 discussion. Maybe we should not have the discussion this morning.
18 Perhaps another -- we can do it at another event so long as each of these
19 pieces belongs in. That is what matters right now.

20 A chapter would have to address the normative or ethical
21 -- and/or ethical issues that have been appropriately raised in regard to
22 tissue samples.

23 A third piece of the report would be some effort to lay out
24 in an honest and clear way what we have learned about public views
25 from whatever sources we ultimately rely upon.

1 A fourth part of the report would be a discussion of the
2 views from the different religious perspectives and the considerations
3 and concerns brought forth from those perspectives.

4 A fifth piece would be a review of what has been said and
5 done internationally with respect to tissue samples and related issues.
6 We will probably do that as a contract report or contract draft.

7 A sixth piece would be an articulation of the framework
8 that we propose ought to be employed to think through the tissue
9 samples and as a kind of prelude for the seventh and last piece which
10 will be our recommendations for policy.

11 Now I hope that was an accurate report of what the other
12 members of the subcommittee think we decided upon. I invite you to
13 add anything if you would like to at this time.

14 DR. SHAPIRO: Thank you. Are there any comments,
15 further comments or questions? We really are back on time so we do
16 have a few minutes for comments or questions if anyone from the
17 subcommittee or other members of the commission would like to
18 comment.

19 (No response.)

20 DR. SHAPIRO: Well, Tom, I want to again express my
21 gratitude to you and to all members of your subcommittee. You also, as
22 the other subcommittee, are working very quickly and you have very
23 ambitious and I think an appropriate set of objectives. I really
24 appreciate very much the work that you are doing. So thank you very
25 much.

26 DISCUSSION: APPROACH TO THE PRESIDENT'S REQUEST

1 DR. SHAPIRO: We will now go directly on for the next
2 half hour or so to discuss the commission's initial response or approach
3 to the President's request.

4 By the President's request in this context of course I
5 mean the request from President Clinton for this commission in addition
6 to its ongoing work which you have just heard about address the legal
7 and ethical issues that surround the scientific achievement in relations
8 to cloning or the possibilities of human cloning, and so on. And I want to
9 report to the commission what initial tasks I have already decided to
10 undertake on behalf of the commission.

11 Now I do want to apologize to all the commission
12 members, we were not able to call a meeting of the commission
13 instantaneously upon receiving this request, and 90 days is a short time
14 to deal with this very complex and important issue and so I decided it
15 really was necessary to begin doing some work on behalf of the
16 commission.

17 I did consult with individual members of the commission
18 regarding some of the things which I am about to talk about to talk
19 about and, of course, some of this was described in congressional
20 testimony yesterday at Senator Frist's hearing where we were
21 represented by Alta Charo and Tom also had -- Tom Murray had some
22 very important things to say, also at the House hearing last week a
23 subcommittee from the Science and Technology Committee.

24 But let me go back now and summarize some of the
25 things that we have already begun doing, some of the things that we are
26 about to do, and I would also ask if we have time this morning, if not we

1 will do it this afternoon or tomorrow, I want -- I would like Alta's and
2 Tom's report back on their perceptions of the congressional hearings in
3 which they participated last week and then just yesterday. So let me
4 begin that way.

5 First of all, if you look at our agenda for today you can
6 see that I took a number of steps with the advice of others to try to bring
7 before the commission a series of really very distinguished scholars and
8 thinkers who have thought about various aspects of these issues.

9 Professor Shirley Tilghman will be addressing us this
10 afternoon on the science issues, the science issues that are involved in
11 this issue. We will then have, as I said before earlier this morning, a
12 really fairly long list of really very important thinkers addressing us from
13 the point of view of various faiths.

14 Now we should not interpret the people we have invited
15 as the representatives of these particular points of view nor should the
16 commission think that these are the only points of view that we are
17 concerned with and interested in. These are just a group of very
18 thoughtful people capable of addressing us in this area who we have an
19 enormous amount of respect for. There are many other people we have
20 an enormous amount of respect for who are not on this list and we hope
21 that those with an interest in that will take advantage of submitting their
22 views to the commission.

23 But we will hear this afternoon from some interesting
24 thinkers who will try to convey to us the views that the Protestant
25 denominations have, at least some of them have, and discuss those

1 matters with us. The same is true from the Roman Catholic church.
2 Tomorrow we will hear from representatives of Islam and Judaism.

3 Tomorrow, of course, we will also hear from four really
4 very distinguished thinkers dealing with particular genes on cloning with
5 one set dealing with the possible benefits, Dr. John Robertson and Dr.
6 Ruth Macklin, and another with the possible risks, Dr. Leon Kass and Dr.
7 Jim Nelson, all of whom are really very thoughtful observers in this area
8 and I am sure we will gain a great deal not only from what they have to
9 say but from our own interaction and discussion with them.

10 I will be trying to structure those parts of the session not
11 only to hear from those people but to have them talk relatively briefly
12 and enable the commission to interact with them so that we can probe
13 and understand in our own terms just what the issues are in these
14 particular areas.

15 So the first thing that we did in response to the request
16 was to reorganize this meeting. This meeting had long been scheduled.
17 Obviously its agenda is quite different from what we had anticipated and
18 that in some sense was the first response.

19 The second response, we have already initiated or I have
20 already initiated I should say, is to try to reach out into the community
21 to have various experts prepare materials for us so that we could
22 consider papers that would be available to us very early in April so that
23 we could have -- take advantage of that information by the time we,
24 ourselves, meet in April. I would just like to describe at least in very
25 brief terms very succinctly to you what some of those initiatives are.

1 We have -- we will be commissioning and have
2 commissioned a study already under way a survey of the relevant legal
3 landscape, both federal and state legal landscape, here in the U.S. That
4 is a study that is already underway. It directly responds to the request
5 of the President that we deal with the legal issues here in ways that
6 seem appropriate to us and so we thought it was absolutely critical that
7 we get an updated survey of the status of federal and state legislation in
8 this area of particular rules, regulations and so on, and we will do so.
9 That is already underway and we expect to have that back to us April
10 2nd. That is Lori Andrews who is doing that from Chicago, Kent --

11 DR. _____: Chicago Kent law school.

12 DR. SHAPIRO: -- Chicago Kent law school, Lori Andrews.

13 We also thought it was very important to have a survey of
14 the relevant legal landscape abroad, that is internationally, with
15 countries who have thought about this and care about this issue, and
16 also with current stance if you like or the current positions of various,
17 what I call, NBAC-like commissions or are standing commissions -- they
18 may not -- that sounds a little imperialistic to call them that way actually.
19 Maybe we are something else like commission from -- that is why we are
20 a world-like commission here really.

21 As you know there are many countries, including the
22 Council of Europe and others, that have standing commissions in this
23 area and we met with many of them in our meeting in San Francisco in
24 November. We want to have some sense of not only what their views are
25 but why they hold certain views.

1 I said earlier on today we are particularly concerned not
2 only with someone who is in favor of something or against it but why
3 they are so that we can evaluate its ethical, moral and legal content a
4 little bit more effectively.

5 We have been very fortunate to get Bartha Knoppers from
6 the University of Montreal to really do that for us. Bartha attended our
7 meeting in November and was really a very, very effective participant,
8 extremely articulate, very knowledgeable person and we are very grateful
9 to her for willing to take on assignments like this which are in very, very
10 short deadlines.

11 We also want, of course, to commission a review of the
12 moral and ethical concerns that have been raised in this area. We will
13 now think about these even more carefully but, of course, others have
14 thought about this over really quite a long period of time.

15 Professor Childress was generous enough to give me a
16 bibliography on cloning -- which I think you got off the Internet
17 somewhere, Jim, and maybe put out by the Georgetown Center, I am not
18 quite sure.

19 DR. CHILDRESS: That is right.

20 DR. SHAPIRO: Anyway this is very -- it is a really very
21 good bibliography. Jim can probably give you the book mark if any of
22 you want to get it off the Internet but it is very helpful. As Jim pointed
23 out to me, there are three waves of interest in this area, both -- one
24 that began really in the late '60s and early '70s largely carried on by
25 some scientists and philosophers who were just thinking about the issue.

1 No one thinking this was anywhere close at hand but very interesting
2 discussions took place.

3 There was then another wave of interest more or less
4 around the end of the '70s and beginning of the '80s as near as I can tell
5 stimulated largely by novels and science fiction, and movies, and plays,
6 and so on, and things of that nature but also a very interesting set of
7 discussions revived.

8 Of course, in the early '90s this issue was revived again as
9 we began to think more carefully about embryo research and embryonic
10 development and so on. And then, of course, what we are currently
11 involved in right now.

12 So as a result there is a literature, an important literature
13 out there, and Professor Brock at Brown University has agreed to survey
14 that for us and provide that as input for our own discussions and I am
15 certainly very grateful to him and my colleagues on the commission were
16 able to convince Professor Brock who is already busy and has a full-time
17 job doing something else to really help us out in this regard.

18 We have also commissioned a paper on the review of
19 religious perspectives on this issue very much analogous I guess to what
20 Professor Murray described in the genetic -- in the tissue sample study
21 which he described just a few moments ago. Courtney Campbell has
22 agreed to do that and we look forward to that. Also someone who is
23 well-known to many of you and a very careful thinker in this area and I
24 think will do very well.

25 We have a -- we also wanted to turn, of course, to the
26 science side of this in which my own discussions with Carol Greider have

1 been really very, very helpful. Carol's leadership in this area to try to
2 both define what it is that we would ask people to do and both -- and had
3 interesting suggestions regarding who might do this.

4 What we are after here, of course, is a review of the
5 current scientific issues in this area. Possible beneficial applications in
6 the area of animal husbandry, other areas like that, nonhuman areas,
7 that is not directly dealing with human cloning or anything like that, just
8 so we can understand where the science is going and what it might
9 achieve in that area.

10 But, secondly, and most directly -- also directly relevant
11 for our ongoing considerations is what will the research agenda look like?
12 If one were to proceed on a research program to move towards the
13 possibility, desirable or undesirable, for human cloning what would that
14 research agenda look like, what issues would it raise, what would be the
15 potential agenda, benefits and risks as we move down that path?

16 I have not had a chance to speak to Carol recently but I
17 think we have someone who has by e-mail signed up for the first of those
18 yesterday. I am trying to -- it is -- I am trying to recall. Janet --

19 DR. GREIDER: I have not received confirmation of
20 anybody. People have been contacted.

21 DR. HYATT-KNORR: I have received confirmation.

22 DR. GREIDER: I have just received confirmation. I was
23 going from my e-mail after last night.

24 DR. SHAPIRO: I am just trying to think of -- I forgot her
25 first name.

26 DR. GREIDER: Janet Rosanna.

1 DR. SHAPIRO: Janet, excuse me, Janet Rosanna who will
2 do that but that issue has to be resolved and fully understood in the next
3 day or so, so I do not think that is done yet in some sense but we hope
4 to complete that very shortly. And then we have another area which we
5 are going to focus on obviously and have someone to repair some issues
6 for us and that is in the area of the policy options/recommendations that
7 might be available in principle if we were to address those issues.

8 So those are all in the way we would hope to have these
9 papers for the commission's review early in April which is a time
10 schedule that we have to meet in order that they have any kind of an
11 effective input for us at our April meeting and thereafter.

12 So those are underway and I have been extremely pleased
13 with the willingness of some extremely distinguished scholars to help us
14 out in this respect and I am sure we will all be very well served by their
15 work.

16 Also, just sitting at the end of the table on my right is
17 Kathi Hanna who may be well known to many of you and has worked on
18 a lot of projects here in Washington and elsewhere. Kathi will be helping
19 us mobilize our report, our final report, which I am going to talk about in
20 a moment, working with some working groups which I am also going to
21 discuss in a moment, and just helping me, Henrietta and the rest of the
22 staff, Dr. Raub, to just oversee the whole process and try to guide us
23 through to successful completion.

24 Now in trying to get this report done in an effective and
25 helpful way in 90 days is no simple task and it can only be done with
26 what you might call in the modern cliché "parallel processing." That is

1 we have to do things together which in some better world we might want
2 to do them serially. That will mean we have to interact back and forth
3 and go back and correct ourselves and shift positions and so on. So we
4 are going to be in a position which is a little unusual for us and we will
5 not be able to proceed in a simple linear fashion.

6 In that connection I want to talk about two further things
7 that I would like to recommend to the commission. First I would
8 propose that we establish three or four working groups composed of
9 commission members who will take primary responsibility for particular
10 aspects of the report.

11 Of course, when one tries to devise what I will call
12 buckets, that is which knowledge categories into which we should put
13 our work it is always somewhat arbitrary and I think of these as leaky
14 buckets, that is that they will have -- these groups will have to interact
15 with each other. We may find as we move ahead that we want to
16 redefine their role and objective, and so on. But I felt it was very
17 important that we had internal groups who were focused and mobilized
18 on particular aspects of this both to receive the information we were to
19 get from outsiders and to help us focus on particular parts of the report.

20 The groups that I would propose that be established are
21 first of all a group in the science area in which we will -- which will be
22 focused and take responsibility for all of those kind of science related
23 issues and how they may impact various parts of the report. I do not
24 mean to say that that will be off in the report in one kind of water tight
25 section. It will influence lots of parts of the report and we will need an

1 internal group both to advise us and to look at our material to make sure
2 that we have all the facts right.

3 I saw Tom quoted the other day, I do not know where the
4 quote came from, Tom, but you said, "Something like philosophy starts
5 off well if you start with the facts." I know that is something that has
6 been around for a while but it reminded me of that and we want to make
7 sure we have the facts right and we have the agenda correct.

8 I have already spoken to Carol Greider about this. She is
9 willing to take the leadership of that group if we approve -- if the
10 commission thinks it is all right to proceed in this fashion.

11 I will assign with your permission two or three additional
12 people in addition to the chairs to each of these groups and try to
13 achieve some mixture amongst us. You will not all be assigned to
14 groups which are necessarily your either first choice because we
15 probably cannot accommodate everybody's first choice or not even
16 necessarily your direct specialty because I think it is very important to
17 get into these groups people -- I would like in the science group to take
18 an example, some of you who are of course tremendously expert in that
19 area but others who just have an interest and to whom this report is
20 going to be addressed, people like myself for example, so that we have
21 right in the group some mixture of background opinion and so on.

22 So we are going to appoint one group to deal with the
23 science issues and concerns. We will appoint another dealing with the
24 philosophical and ethical concerns and I have also in this connection
25 already talked to Dr. Lo who has agreed to take leadership of that group.

1 And then there are two other buckets, and our
2 discussions have not gotten far enough to know whether we ought to
3 combine them into a single category or a single bucket or to deal with
4 them separately, or to be combined at some later stage of our
5 discussions but the two areas are law/regulation dealing with the legal
6 regulatory sets of issues that may come up here both to know what the
7 current status is and how these avenues might be employed given our
8 recommendation -- whatever recommendations we come up with. The
9 final bucket or category dealing with policy options that are available and
10 what the benefits might be and particular avenues to pursue in that area.

11 Now in the latter two areas I have asked Alta Charo to
12 head one of those groups. I had in mind to ask Alex Capron to head the
13 other. Alex is not with us today so I have been unable to -- I do not know
14 if he is willing to do this but I will try to make an offer he cannot afford to
15 refuse but the -- there is an open issue which I have asked Alta to talk to
16 Alex about and that is whether these two groups should really be
17 combined in the first place. They obviously are very intimately related.

18 The survey of the legal landscape is well underway and
19 will be, I think, finished quite early on and it may be that it really is most
20 effective for this group to work together right from the very first. I have
21 asked Alta to speak and I will also, of course, speak to Alex and we will
22 have some discussions to see whether that group ought to be merged
23 right away in which case we would only have three groups with one group
24 a little bit larger than the other two.

25 So let me stop there. First of all, to ask commission
26 members if, one, they have some serious objection to proceeding this

1 way. More importantly maybe I ought to put some costs on whether you
2 have a serious objection or not. The cost is you have to have a better
3 idea.

4 (Laughter.)

5 DR. SHAPIRO: And I am sure there are better ideas. This
6 is not something that I have had a long time to think about. I am sure
7 there are better ideas. That is the only thing I am sure about but I would
8 like to proceed in this way so each of us will be part of a small group and
9 take some ownership to this particular set of responsibilities. I think
10 that will drive us on.

11 Larry?

12 DR. MIIKE: I would prefer we start with these four
13 groups. Clearly a policy group will have to relate to all three areas and it
14 may be that the law or regulation group just moves quicker to move
15 together with the policy group but eventually the policy group cannot go
16 anywhere without input from the other three so I would prefer we start
17 off with the four and then we will see how they emerge.

18 DR. SHAPIRO: Any other comments or questions?

19 All right. Then I will presume that what we will do is
20 simply proceed along those lines. This is going to generate a lot of
21 information. We are going to generate an awful lot of information in the
22 next, it sounds almost ridiculous to say so but in the next two to three
23 weeks and I do not know when in April we will be able to schedule our
24 meetings since we have not had a look at the calendars but hopefully we
25 will try to do that before we break up tomorrow. So I encourage you all
26 to get your calendars in if you have not done so.

1 If I could also make another point, even though as, I
2 guess, Tom or someone else pointed out this morning that we have yet
3 to have the life of this commission extended, officially extended, my
4 understanding is that that will certainly happen very shortly and we are
5 certainly planning meetings for next year.

6 So we would like to get calendars not only for what is
7 immediately required, that is up through June and July but also through
8 next year, indeed the next two years, so we can try to schedule meetings
9 where that is possible for you. So for those of you who have these
10 calendars do not stop in May and June, if you can tell us longer in the
11 future when you are available that would be a very great help to us.

12 Any questions about that? If there are none -- I mean, I
13 encourage questions but I really want to be sure that you feel
14 comfortable with proceeding in this way. I will speak to each of the
15 commissioners some time before we leave regarding the assignment to
16 particular groups here. I will try to accommodate everybody's
17 preferences to the extent that I can. I mean, I really do want to try to put
18 you into areas you would care about and want to work on but I cannot
19 absolutely guarantee it because depending on how the preferences break
20 down.

21 Okay. All right. We will proceed in that fashion. We will
22 establish these working groups and I will, as I said, speak to each of you
23 some time before we adjourn tomorrow regarding the assignments.

24 Let me ask another question. We are thinking about our
25 April meeting and we have, of course, in today's agenda a list of
26 organizations/individuals who we are hearing from. I would be very

1 interested in any advice the commission has regarding persons and/or
2 groups that you think would be very important for us to hear from
3 sometime during our deliberation in the April meeting might be a chance
4 to provide -- we would not want to take up the whole meeting because we
5 will need our own discussions to take up the bulk of the meeting by the
6 time we get to April but we might provide some time to hear from groups
7 who the commissioner members feel are particularly important for us to
8 reach out to.

9 We are going to, of course, to a long mailing list as long
10 as we can certainly make it to organizations we think might be interested
11 and ask them to provide us with written input and they may wish to
12 appear and make public comments but in any case to provide us with
13 written input if appearing here is not convenient because we do want to
14 spread our net as broadly as possible. So we will be sending a lot of
15 genuine requests out of that nature.

16 The question is whether there is any particular groups
17 and/or individuals which members of the commission would really want
18 to hear directly from so we could have one on one interaction with. Just
19 to give you an example of some of a group that one could think of,
20 whether you think -- you could think of FASEB, for example, this
21 organization of, you know, biomedical investigators who are obviously
22 critically involved in -- would be critically involved and might have some
23 views of long experience and so on but that is just an example and you
24 may or not feel that is the right example.

25 I have the feeling that we should also reach out to and
26 request some appropriate presentation from someone who is working --

1 people who are working in this area in what we would call loosely the
2 private sector, people who have -- you know, we have had a lot of
3 comments about that here but we have not really heard directly from
4 those groups. There was testimony on Congress the last couple of days
5 from one or two of them but that is another example.

6 So what I would ask you to do, if you have any
7 suggestions right now that is fine, more importantly as you think about
8 this during the day you might pass on to Henrietta and/or myself, or Bill
9 suggestions you might have in that regard.

10 Does anything occur to you right at the moment?

11 Excuse me, Bernie?

12 DR. LO: To follow along with this line of thinking I wanted
13 to tie this in with a comment we had before our break about how to sort
14 of gather public viewpoints on the issue of DNA testing of stored tissue
15 samples. I am just wondering if it is the same dilemma here. It would
16 be nice to sort of have a way of finding out whether there are concerns in
17 the public which may be not very well articulated at this point that we
18 are just not aware of. So that is one thought. I do not have a clear idea
19 how to do it.

20 And a second idea to consider is sort of a high tech idea.
21 I know there are a lot of discussion groups. There is a bioethics
22 discussion group and one thing we might think of doing is asking --
23 putting something out saying we are interested if you have something
24 you want to send us I would be willing to sort of do it for the ethics sub-
25 bucket to sort of gather input if people wanted to send us something.

1 DR. SHAPIRO: I would just like to point out you are not
2 yet a sub-bucket, you are just a bucket. If you appoint another
3 subcommittee that would be a sub-bucket.

4 Thank you. That is very helpful. I think you make a good
5 point. There are a lot of discussion groups out there. Most of them are
6 really quite serious and helpful. Any of the working groups, in fact for us
7 as a whole, we might want to access that as a way of getting information
8 easily for people to tell us something that is on their mind.

9 Yes, David?

10 DR. COX: I really like the idea of inviting FASEB
11 particularly since, you know, there has been some concerns raised about
12 whether this commission has the adequate scientific expertise to
13 represent their case. So I think that it is particularly in those situations
14 and very broad organizations like that when they voice such concerns it
15 is very important that we hear from some.

16 DR. SHAPIRO: Thank you. Yes, Eric?

17 DR. CASSELL: One of the things that interests me and
18 that might help us on our work, the time constraint pushes us badly, is
19 this is an area where public policy impinges on science and the behavior
20 of people with regard to science. I am interested in what has happened,
21 what we know has happened in the past in relationship to -- for example,
22 in vitro fertilization. I mean, what did actually happen. The fears that
23 were raised and what was going to happen and what actually happened.
24 What has been the history of this kind of endeavor in the past and the
25 response of the public to it? So that we do not act as though there is no

1 -- there is no history. There is a history and I think it would be very
2 helpful if we knew more about it.

3 DR. SHAPIRO: Thank you very much. I appreciate that
4 remark. I have the same feeling and in that context let me turn to a
5 single page that you have here. I will give it to all the commission. The
6 page is headed "Draft Proposal, Preliminary Outline of the Report to the
7 President." Now I have tried to think of ways to put more drafts and
8 more preliminaries into there so that nobody gets -- assumes too much
9 by looking at this. It just occurred to me as I was thinking through our
10 time schedule earlier this week that we really had to get started and
11 provide -- begin to try to get a brief kind of hazy -- at least hazy outline of
12 the report that we were going to generate.

13 I do not want to -- so this is what I wrote down as I
14 thought about this. Here is how the report could have been laid out I
15 thought at least at my first pass at it. The question is not to take this so
16 seriously. What I really need from the commission members is to look at
17 this as thoughtfully as you can, scratch out things, do whatever you want
18 and present some alternatives. That would be extremely helpful to us
19 because given our time frame we do not know, of course, at this stage
20 what we are going to recommend. That is entirely premature. But if we
21 could just work out an intellectual apparatus, a kind of intellectual plan
22 as to how we might structure the report, that will be enormously helpful
23 to all those who were writing parts of it and so on.

24 So this is simply a first stab. I hardly -- I did not even
25 know whether I should sign it frankly it was so preliminary but I did just
26 for purposes of keeping records so we would know who we interact with.

1 But I really ask each commissioner some time in the next four, five or six
2 days, the time that is convenient for you, to take your pen, pencil,
3 scissors, whatever you do to react to this, to give us some better idea.
4 That would be extremely helpful.

5 So again this is part of our parallel process and we are
6 not ready to write the report yet. We already have to at least begin
7 thinking about the outline just as the working groups are going to have to
8 begin before we receive all the information from the papers we have
9 commissioned. So that would really be an enormous help to us so
10 please get this back to me, to Bill, to Henrietta, whatever is convenient
11 for you, that would be quite helpful.

12 Finally before we take our scheduled break I really would
13 like to turn to Tom and Alta to report to the commission on their
14 participation in congressional hearings.

15 Tom, yours was first so let me turn to you first.

16 DR. MURRAY: Certainly, Harold. The reason we began
17 meeting at 7:00 a.m. on the 5th of March was so that we could be down
18 to Capitol Hill in time for a hearing that was scheduled to begin at 2:00
19 p.m. Initially I had been asked to testify and had declined because it
20 would have interfered with our subcommittee meeting but on
21 consultation with NBAC staff and with Dr. Shapiro it was decided to
22 compress the subcommittee meeting, begin earlier, take fewer breaks
23 and eat on the run so that we could -- all of us who were able to could go
24 down to Capitol Hill and be present for the House Subcommittee on
25 Technology of the House Committee on Science Hearing.

1 There is not much I can say about the hearing itself
2 except I would hope and I believe that the testimonies have been or are
3 being distributed to all NBAC members. The people who testified were
4 Dr. Harold Varmus, the Director of NIH, Dr. -- is it Kaird Rexroad? --
5 Kaird Rexroad, Dr. M. Susan Smith, who I believe it was in her laboratory
6 that the rhesus monkeys where -- the embryo cloning of rhesus monkeys
7 took place, and Dr. Jim -- or Jim Geraghty, who is head of -- is it Gen --

8 DR. ____: Genzyme.

9 DR. MURRAY: -- Genzyme Transgenics and myself. It
10 was -- I did not know what to expect. It was actually, I thought, a pretty
11 good interchange. The questions asked by the members of the
12 subcommittee were by and large very much on point and, indeed, a
13 number of them I thought raised very good issues. Otherwise I am not
14 sure what to say except that it was a very good interchange. I was told it
15 would last an hour, at most an hour-and-a-half, I think we were there --
16 still there two-and-a-half hours later. So they apparently found the
17 conversation interesting enough to continue for a while.

18 DR. SHAPIRO: Thank you very much.

19 I know we have distributed Tom's testimony as well as the
20 testimony of some others that appeared at that hearing.

21 All right. Let me turn to Alta just to reflect on yesterday's
22 meeting at Senator Frist's committee.

23 PROF. CHARO: The agenda for this particular hearing
24 was changed rather late in the game to permit Senator Kit Bond and
25 Senator Pete Domenici to testify first. Senator Bond spoke to the bill

1 that he introduced, a copy of which was e-mailed to you, that proposes
2 to place restrictions on human applications in cloning.

3 Pete Domenici wanted to speak to a bill he is introducing
4 having to do with genetic privacy which is not specific to cloning but is in
5 the area of genetics and so he thought it was appropriate, and to some
6 extent that was the news event.

7 The public relations event was clearly the fact that Dr. Ian
8 Wilmut was there from Scotland and so people had a chance to hear
9 from him personally for the first time in the United States about his
10 research.

11 Dr. Varmus, using the charts that, in fact, he had
12 developed first for the Morella hearings, continued in what he called "Bio-
13 101" and was working hard to help draw clear distinctions in the area
14 human applications among cloning experiments that involve
15 nonreproductive cells with no reproductive capability. Those areas of
16 research that involve manipulation of embryos and those that involve
17 babies and to make extremely clear the need to keep them separate
18 because we do cloning all the time with human genes, for example, and
19 that anything having to do with "Dolly" type cloning is still for the
20 moment in the realm of science fiction.

21 And the testimony continued on -- I was asked to
22 specifically represent the commission rather than speak for myself. So
23 on the record is a preliminary listing of what it is that we were planning
24 to do and some analyses of the effect of the embryo research regulations
25 and discussions to date on this area of research, and also rules
26 governing medical experimentation on children.

1 Other issues covered were ethics, George Annis, Karen
2 Rothenberg, and a panel of three people who specialized in organ
3 transplantation, pharmaceuticals and biotechnology with applications in
4 that area.

5 And at the conclusion of the hearing it was not clear to
6 me exactly what further action, if any, would be taken by Senator Frist's
7 committee on this topic.

8 DR. SHAPIRO: Thank you very much.

9 Does anyone have any questions for Tom or Alta on this?
10 Steve?

11 DR. HOLTZMAN: It is actually --

12 DR. SHAPIRO: Comments of your own.

13 DR. HOLTZMAN: No, it is a question to the commission.
14 It has struck me that there are a number of bills that are being
15 introduced both in Congress as well as in the states. Alta is very good
16 about e-mailing us the --

17 PROF. CHARO: I have been e-mailing all --

18 (Laughter.)

19 DR. HOLTZMAN: Could we put -- would people think it
20 would be useful that we could quickly put together a conceptual grid into
21 which we could throw these bills? For example, what is being regulated?
22 Some are addressing transfers of some nuclei from somatic cells. Some
23 of them do not make that distinction and would include embryo cells, et
24 cetera, et cetera. Some of them are making it a felony and some are
25 not. Is there -- could we quickly get a framework in which to be able to
26 start to put these?

1 DR. SHAPIRO: Alta?

2 PROF. CHARO: Yes. I apologize for those of you who
3 have got limited kilobyte space in your e-mail boxes when I keep sending
4 you drafts of these things but I run an automated search every morning
5 on my computer for new stuff coming down the pike including things like
6 state bills. So you are getting them as fast as I am getting them.

7 DR. CASSELL: I would not mind getting them slower than
8 you get them.

9 (Laughter.)

10 PROF. CHARO: I would be happy to try and put them into
11 buckets since that seems to be the phrase of the day and to deliver them
12 to you in buckets so that it is easier to keep track of them. But you are
13 right. For the moment basically the phrase that is being thrown around
14 in most of these is human cloning and the definitional sections are
15 usually omitted or abbreviated so that there is ambiguity about the
16 extent of coverage which is one of the points that Dr. Varmus was, in
17 fact, trying to bring out at yesterday's hearings.

18 DR. SHAPIRO: Tom?

19 DR. MURRAY: With respect to the March 5th hearing it is
20 probably worth noting that Congressman Ayler, who has submitted two
21 bills to the House of Representatives, was present at the hearings and
22 the question was raised whether the panel, the five members of the
23 panel, thought it was important to pass laws immediately.

24 I took there to be no dissent among the five panel
25 members that it would be -- none of them welcomed the idea of laws
26 passed immediately and that, in fact, it was certainly worth deliberating

1 clearly until the time, such time as this commission could issue its own
2 report, and there were two lines of questioning that helped illuminate
3 why it is probably not necessary to have a law passed instantaneously.

4 One line of questioning had to do with what capital
5 investment was required to assemble the equipment to do this kind of
6 research and the answer to that was not so much. The second question
7 was what was the rate limiting feature here and as Dr. Smith, Susan
8 Smith, I think this was the best line of the hearing.

9 She said something to the effect that cloning is very, very
10 hard and, in fact, there are only a very small number of scientists around
11 the world who are probably capable of this research even in animals let
12 alone humans, and it is a relatively -- it is a community of scientists well
13 known to each other, none of whom according to the testimony of the
14 scientists there were likely to even attempt human cloning in the
15 foreseeable future.

16 So given that there seemed to be no one with the ability
17 to even try it now it was unlikely to be attempted immediately. So we
18 have some time to reflect, pause and offer advice about what might be a
19 well measured response.

20 DR. SHAPIRO: Zeke?

21 DR. EMANUEL: I just wanted to make two points. I sat in
22 on Tom's hearings as they occurred after the Subcommittee on Genetics
23 and I was actually struck by the somewhat inability to formulate the
24 exact concerns and I think that that suggested to me that a primary
25 obligation of our commission is both to formulate the benefits and the
26 concerns clearly and intelligently. Congressmen were repeatedly trying

1 to go around and formulate the right question and even the right
2 question was hard, I think, to get out.

3 The second thing I would ask you, Dr. Shapiro, as a chair,
4 is 90 days is a very short time line and the question of whether we issue
5 a report but continue to deliberate and maybe rethink even some of what
6 we are doing, it may be a little awkward but I think there may be some
7 virtue in it and I would -- you did not address whether we would keep this
8 on the agenda as it were and maybe issue a follow-up report as we think
9 more over a year or two years.

10 I do not always do my best thinking fast and I sometimes
11 change my opinion when I rethink. So I just wonder how that is
12 ruminating in your mind and also how the commission would react?

13 DR. SHAPIRO: Two things. The first comment do not
14 take too seriously. The most frequent comment I get from students who
15 do not like their grades is exactly that one, they do not think well fast.

16 (Laughter.)

17 DR. SHAPIRO: But more seriously I have two kinds of
18 reactions to the very important point you have raised. Namely we do
19 have to keep focused on our 90 day responsibility and really do
20 something we are proud of in 90 days. And so I do not want us to kind
21 of fall victim to the things -- as every time we get to a hard problem we
22 will put it off to the post-90 days.

23 On the other hand I think I -- it is hard for me to imagine
24 that we will not continue to do some thinking on some of these issues
25 after that. So I expect that while we must and will meet the report
26 deadline and have something to say, I believe, I also believe that this will

1 not leave our agenda after that because inevitably there will be issues
2 which we want to do some further work on.

3 Yes, Professor Cox?

4 DR. COX: I would just like to say that I think that this
5 result of Dr. Wilmut's gives this commission a golden opportunity or it
6 could be looked at as a real sort of bad opportunity and that if we do not
7 come forward in 90 days with a very clear statement then for us to
8 adjudicate on some of the other issues which I personally feel are as or
9 perhaps more important than this cloning issue it is not clear to me we
10 will have that opportunity. So I would hope that the commission could
11 be crystal clear in 90 days on how we feel on this issue.

12 The second point, and it is really something that both
13 Eric said and Zeke brought up, it is not clear to me that we have all the
14 facts. So for us to collect facts is very important. There is a particular
15 type of fact that I am interested in which is not sort of the history of the
16 reproductive technologies but what the cost benefits of them have truly
17 been.

18 And that to -- for the patients, for the economic benefits
19 of the people that are delivering them and for, you know, our country as
20 a whole, I think that since this is really a technology issue about cloning
21 to address at that level what the cost benefits have been I think for me
22 will be extremely important in terms of adjudicating other types of
23 technologies.

24 DR. SHAPIRO: Thank you.

25 Diane, did you want to say something?

1 DR. SCOTT-JONES: I was able to attend the hearings
2 yesterday and so I just have a couple of comments. One thing that
3 Senator Frist mentioned when he was talking was that he, himself, is a
4 surgeon and he talked about how heart transplants were perceived when
5 they were first started and he reminded everyone that we need to think
6 about this in some context and I think a historical context is really
7 important to think about how people have responded in the past in new
8 developments.

9 And another of the speakers, Karen Rothenberg,
10 mentioned the importance of considering this issue of cloning on a
11 continuum along with other reproductive technologies and I think that is
12 important, too, that we do not just look at cloning in isolation of other
13 kinds of developments that are going on and that we place it in some
14 sort of context, scientific context, and maybe look a little bit more
15 broadly than cloning per se.

16 DR. SHAPIRO: Thank you for those comments.

17 It is, of course, true that this occurs not only in a
18 particular scientific context as you have pointed out but in a social
19 context in which behaviors and ideas regarding families and other things
20 have changed in very important ways as Tom has written about much
21 more carefully than I could articulate right now. We will try to reflect
22 that in the report that we write.

23 Larry?

24 DR. MIIKE: Just a comment from a policy side is that this
25 is no different from other complex issues where we argue about whether
26 we should narrow the scope or whether we should enlarge and what can

1 we say with the current knowledge, what do we reserve for revisiting, and
2 I think this is just sort of part of the process we are going to go through.

3 DR. SHAPIRO: I agree.

4 Any final comments before we break for lunch?

5 I want to thank you all very much. We are only running
6 about 13 minutes late or something like that. We will try to get back on
7 our agenda. We are supposed to reassemble here at 12:15. Thank you
8 all very much.

9 (Whereupon, a luncheon recess was taken from 11:28
10 a.m. until 12:35 p.m.)

11 * * * * *

12

13

14

15

16

17

18

19

20

21

22

23

1 think of anyone better suited to help the commission address some of
2 these issues.

3 Shirley, welcome and thank you very much for coming.

4 SCIENCE AND TECHNOLOGY IN CLONING

5 DR. TILGHMAN: Can everybody hear me while I am
6 standing here? Good.

7 Well, I will try and be as brief as possible. One reason is
8 obviously you have a great deal to do in your deliberations. The other is
9 that as I speak there is the tip off of the Princeton-Cal basketball game
10 in the NCAA tournament known as "March Madness." If I was at North
11 Carolina I could probably miss the first game and that would not be so
12 bad.

13 (Laughter.)

14 DR. LO: Just so you know I live in Berkeley.

15 DR. TILGHMAN: So I only have a short time here.

16 (Slide.)

17 So I am going to try and review what I consider the real
18 scientific issues that surround the recent publication of Dr. Wilmut's
19 report which I sort of in this title have called "The Cloning Experiment."

20 One of the things that I think is unfortunate in this
21 business is that the word "cloning" has, in fact, been used in different
22 context in different times to mean distinctly different things. So until
23 two weeks ago the word "cloning" as used most commonly in the
24 scientific community was a strategy for essentially taking a single copy
25 of a gene and this gene could come from literally anywhere in the
26 biological kingdom, and to be able, in fact, to reproduce this gene

1 manyfold, usually in a host cell that was relatively simple like a bacteria
2 or a yeast cell.

3 Cloning as we are going to talk about it today is a very
4 different process where the common feature, and the reason these two
5 very different things ended up having the same name, is that it involves
6 replicating from a single copy many individuals. So I am going to try in
7 the beginning to talk about three issues that I think are relevant to the
8 science of cloning as meant by Dr. Wilmut's experiment.

9 The first is why, in fact, were scientists so surprised with
10 his publication because there was, in fact, considerable surprise on the
11 part of the scientific community, including highly knowledgeable people
12 in the field that Dr. Wilmut, in fact, was able to do his experiment?

13 The second issue I want to address is why was the
14 experiment so inefficient? I am going to go through what I mean by
15 inefficient, but what does it really mean to be inefficient and what does
16 that tell us about the scientific issues?

17 The final thing that I am going to address is what are the
18 scientific risks and what are the scientific unknowns associated with the
19 experiment under question.

20 (Slide.)

21 Now to answer -- oh, thank you. All right. So that will
22 allow me to back up and get away from the screen so more people can
23 see it.

24 So to begin to understand the first question which is why
25 were scientists so surprised, in fact, that it was possible to do what Dr.

1 Wilmut did I have to back up a little bit and tell you about normal
2 mammalian reproduction.

3 How far away can I move from this and still people can
4 hear?

5 So this is a very simple depiction of early mammalian
6 development.

7 You need me to move away? It is not showing up.
8 It is too bright. All right. Well, I think I can point.

9 So, of course, mammalian development begins with an
10 egg and a sperm, each of which contains half of the genetic information
11 that is ultimately going to be directing the development of that embryo.
12 The sperm injects its DNA into the egg and at this point one has the two
13 male and female nuclei separate but very quickly these two merge
14 together and we now have a single celled embryo.

15 Now the important thing and the reason why scientists
16 were so surprised that this experiment worked is that during this early
17 process the genes that are in these two pieces of collections of DNA
18 called the pronuclei are largely silent. During oogenesis and during
19 spermatogenesis this DNA has been packaged in such a way as to really
20 have it quiescent. And as a consequence a very critical thing must
21 happen immediately after fertilization which is those genes have to be
22 reactivated because otherwise development cannot occur.

23 Now there are species specific differences in the rate of
24 that reactivation. In the mouse where the vast majority of embryo
25 manipulation experiments have been done in the past the reactivation is
26 very fast. It occurs essentially by the time that one cell has divided to

1 make two cells. So mice have to be able to essentially strip the silencing
2 mechanism off those genes and get them active very fast, literally within
3 about 18 hours.

4 Now sheep and humans are different in this regard. So
5 this is a species difference. There is no sign of gene activation in either
6 sheep or humans until the age of 16 cell stage. So these organisms have
7 a longer period of time, two or three days essentially, in which to do this
8 reactivation of their genes. And that may be relevant to the issue I am
9 going to come back to which is why were we surprised it worked in
10 sheep.

11 Now at this point most of the genome, in fact, has
12 reactivated which means that the genes are in states that are competent
13 to be expressed. But now what happens is that we have to resilience
14 them but now we are going to resilience them in ways that are specific
15 for the different kinds of cells that must ultimately arise from these
16 simple cells.

17 So if you look at a red cell or a kidney cell, or a liver cell,
18 or a neuron, what you see is that only about ten percent of the genes
19 that are capable of being expressed are actually expressed. So there is
20 this really critical process during early development where the genes that
21 you do not need to become those cells are silenced again.

22 Now scientists had, in fact, for really over a period of
23 about 20 years been asking the question can we take genes that are
24 packaged in this form in these cell types in which the genes have been
25 silenced again, can we, in fact, reactivate them? Can we get them to be
26 active again? And there was a sense that after about this stage of

1 development the answer was no, that you could not reactivate these
2 genes.

3 So the surprise in terms of Dr. Wilmut's experiment was
4 that one of the conclusions you have to draw from his experiment is that
5 at least in one case, in one cell type, which was a mammary cell which
6 he used, it is possible to reverse this gene silencing.

7 So what is the experiment within this context?

8 (Slide.)

9 So this is the experiment that Dr. Wilmut performed. So
10 he took a cell that was in this state where 90 percent of the genes in that
11 cell had been silenced, only about ten percent of the genes were active,
12 and he fused the cell with, in fact, an unfertilized egg and the unfertilized
13 egg had had its genetic information removed physically by
14 microinjection.

15 So a needle had actually gone into that unfertilized egg,
16 which is called an oocyte, the DNA had been removed so now it was only
17 -- it had none of its own genetic information left and the -- the now
18 completely enucleated egg was fused with a mammary gland cell. So I
19 am only going to talk about one of his experiments, the one that I think
20 is the most relevant one.

21 Now think about what must happen if, in fact, that
22 nucleus that is obtained from a mammary gland cell is going to, in fact,
23 be able to go on and generate all of the cell types that are in an adult
24 sheep. Well, the first thing that absolutely has to happen is this gene
25 reactivation has to happen. So the question of was this even feasible, if,
26 in fact, this experiment is reproducible, the answer has to be yes, that

1 there is something, in fact, in an oocyte that is capable of reactivating
2 those 90 percent of genes that are in a silent state.

3 Now why were other experiments very similar to this that
4 had been done over the past 20 years, why did they fail? In other words
5 another way of asking this question is what is different about what Dr.
6 Wilmut did from what other people had done largely in mice but not
7 exclusively in mice, experiments of this kind have been done in other
8 mammals as well, as well as a very early experiment that had been done
9 in frog.

10 So there are a number of possibilities. We do not know
11 the answer to this but there are a number of possibilities worth
12 considering. The first is that many of the mouse experiments had not
13 been done with unfertilized eggs but had been done, in fact, with
14 fertilized eggs. So there may be a difference in the ability of an
15 unfertilized egg to reactivate genes versus a fertilized egg. So that is
16 one difference.

17 The second difference is the difference I have alluded to
18 and that is in organisms like the mouse where this reactivation has to
19 happen very quickly, perhaps it is never going to be feasible, in fact, to
20 have this reactivation occur fast enough for this to work. So that is a
21 second possibility.

22 A third possibility is, in fact, an observation that had
23 existed for some time but Dr. Wilmut took advantage of this observation
24 and that is that we now know actually as a result of about the last ten
25 years of experimentation that the decision of whether a cell is going to
26 divide or not divide ends up being the result of a very intimate

1 connection and conversation that occurs between the cytoplasm of the
2 cell which is all this stuff and the nucleus. And, in fact, if the cytoplasm
3 and the nucleus cannot have that sort of conversation with each other in
4 a meaningful way then, in fact, a lot of miscues get sent and
5 development undoubtedly would not be able to proceed.

6 So one of the things that Dr. Wilmut did that was different
7 than what many other people had done with this experiment is the
8 source of cells that he used which were from the mammary gland of the
9 ewe had, in fact, been taken out and allowed to essentially go into a very
10 quiescent state, meaning the cells had not divided for three or four days.
11 It was those cells that he used for the fusion to the oocyte.

12 So it is entirely possible that by using these nuclei that
13 were essentially resting, they were in a silent state perhaps mimicking
14 the silent state of the egg and the sperm nucleus that potentially this
15 intimate sort of conversation between the cytoplasm and the nucleus
16 was facilitated and, therefore, they were not out of sync with one another
17 and, therefore, development could proceed.

18 So all of these are potential explanations for why in the
19 past when scientists largely took dividing cells, in other words cells that
20 were sort of in an activated state that once put into this environment in
21 the unfertilized egg there was a failure of development as opposed to
22 what Dr. Wilmut did. But clearly this is a case where a lot of
23 experimentation needs to be done if we, in fact, are going to understand
24 whether, in fact, this one successful experiment was -- which of these
25 many possibilities explain this one successful experiment.

1 So now on to the question of why this process is so
2 inefficient. That is once you have, in fact, introduced this nucleus into
3 this unfertilized egg, why, in fact, are so few successful animals born?

4 (Slide.)

5 Just to give you a sense of how inefficient this really is,
6 this is the data from the paper. So they generated 277 egg cell fusions
7 where they could really show that the nucleus from the mammary gland
8 cell had been incorporated into the oocyte. They cultured these for six
9 days and then looked to see how many of them had begun to undergo
10 development and you could tell this just by looking at these embryos.
11 Actually in terms of the ones that survived a fairly substantial number of
12 them survived, 247. So that is quite good.

13 But here is where you begin to take losses and that is
14 when you looked at whether they had developed appropriately, only ten
15 percent roughly had developed appropriately to the right stage for six
16 days of development, and then these were implanted into foster mothers
17 and of those 29 that were implanted only one survived. So this is going
18 from 277 possible successes to one success.

19 So why isn't this more efficient? What is wrong?

20 (Slide.)

21 Dr. Wilmut, I think, emphasized this in his testimony
22 yesterday. So again this is a question we do not have any idea but here
23 are some possibilities.

24 So one possibility is that in the process of going into the
25 egg and removing the genetic information of the unfertilized egg you
26 actually disrupted the egg. This would not be surprising because, in

1 fact, it is a very large needle that goes into that egg and pulls out the
2 genetic information. So you might have essentially destroyed the egg
3 from the very outset.

4 The second possibility is that this gene reactivation,
5 which is absolutely essential for development to proceed, was inefficient.
6 And that is that the reactivation that normally works very well when you
7 have an egg and a sperm does not work so well when you have a
8 mammary gland cell. So that is a possibility.

9 There is a third possibility which I do not think is being
10 considered as seriously as it should and that is remember that
11 mammary gland nucleus is not inert. It, in fact, is making gene products
12 that are appropriate for mammary gland cells. Some of those products
13 could easily be quite toxic to an egg. So it is entirely possible that the
14 inefficiency is because the mammary gland is producing products that
15 essentially disrupt normal development.

16 Now this is actually from a scientific point of view a
17 critical issue because it may suggest that the success of this experiment
18 is going to be very tissue specific, that is where you get this nucleus may
19 really matter in the end.

20 Finally, something which is almost certainly at least part
21 of this story is that implantation is inefficient.

22 Now two of these possible explanations for the
23 inefficiency are things which characterize all embryo manipulations that
24 are done in animals and that is the first one and the fourth one. Those
25 are inherent to embryo manipulation. If you manipulate an egg you do

1 take a chance of doing something damaging to it. Implantation is
2 fundamentally an inefficient process.

3 The two that are unique to this experiment are the second
4 and the third. These we know very little about. A great deal more
5 experimentation will have to be done before we have any understanding
6 of how much those two biologically specific issues contribute to the
7 overall inefficiency of the process.

8 Now as a scientist what do I worry about in this
9 experiment?

10 (Slide.)

11 I think that there are probably two major risks associated
12 with this experiment that we do not know anything about and that will
13 require a lot of experimentation in model systems, in animal models,
14 before we can say anything about either one of these issues.

15 The first is that the donor nucleus has existed in this case
16 in a sheep for six years. One of the things we know is that individual
17 cells accumulate mutations. They are called somatic mutations because
18 these are not mutations you can pass on to your children but they are
19 mutations that are unique to a cell. We have very little idea of what the
20 rate of somatic mutation is. We do not know how quickly these
21 mutations accumulate in us. We know they occur and we know that
22 because cancer is largely the consequence of somatic mutation. So
23 there is no question it occurs.

24 Now there is a fundamental issue here and that is a
25 somatic mutation in one mammary gland cell, assuming it does not, in
26 fact, lead that cell to grow out of control and become a cancer, may be

1 completely innocuous to the mammary gland cell. The mammary gland
2 cell may be able to continue functioning completely normally without
3 somatic mutation. But when that somatic mutation now becomes
4 permanent in every single cell of the new organism which it would do in
5 this case then there is no predicting, in fact, what the effect of that
6 mutation will be. So we need to understand what is the rate of somatic
7 mutation. We have to appreciate that this will be an inherent risk of any
8 experiment of this kind.

9 The other thing which I think is a general worry about this
10 kind of an experiment, whether done -- no matter what kind of animal
11 system it is done in -- is that we know almost nothing about this
12 reactivation of genes. We really know almost nothing about it. And as a
13 consequence we do not know efficient it is but remember in order for
14 this experiment to work to produce a fully viable healthy offspring it has
15 to be complete.

16 What I think would be most troublesome is the inefficient
17 reactivation of genes that does not affect early development, for instance
18 preimplantation, but affects in some later developmental stage. That I
19 think is something that is very worrisome. There is, in fact, a precedent
20 for this kind of problem in experiments that were done 20 years ago by
21 John Gerdon (?) who was an investigator in England asking very similar
22 questions in frogs.

23 What he found is that he could take a skin cell and he
24 could, in fact, reintroduce its genetic information into an egg but he
25 could never get progeny that developed past the tadpole stage. What

1 this suggests is that there was some reactivation, enough to get through
2 part of development but not to get through all of development.

3 There is a third thing which actually came up at lunch
4 today which I would add to this list and that is that this experiment
5 absolutely requires that the DNA, for example, in the mammary gland
6 cell has not been rearranged during development in any way relative to
7 the DNA of a fertilized egg. We know in mammals that is not true for
8 every cell type.

9 For example, our immune cells, both B cells and T cells
10 rearrange at least a subset, a small subset of their genes in order to
11 make antibodies in order to make surface molecules. The fact that one
12 kind of cell can do this suggests that other cells have at least the
13 potential to be able to do this and so it may again raise issues about
14 which kind of cells would be donors and which kinds of cells would be
15 very poor donors for this kind of research.

16 So I hope any of the commissioners will stop me at any
17 point if something is not clear. I have teenagers so I am used to being
18 interrupted all the time. I will not be offended. So, please, stop me if
19 there is some point where I am not making sense any more.

20 Yes?

21 DR. EMANUEL: You did not mention as one of the risks
22 early senescence of the cell, the fact that the nucleus does age and we
23 do not know what that -- it has been reprogrammed to start at zero as
24 opposed to 25 --

25 DR. TILGHMAN: That is correct.

1 DR. EMANUEL: -- you did not put it on your list and I was
2 just a little surprised to see it --

3 DR. TILGHMAN: Surprised that it was not --

4 DR. EMANUEL: -- and maybe you could tell us about it.

5 DR. TILGHMAN: Well, part of the reason is I assumed
6 that Dr. Greider is going to -- who, in fact, demonstrated this
7 experimentally will be able to talk about that very knowledgeably to you.
8 I suspect that we could spend the next hour and have that list be
9 significantly longer. These are the ones that I think are areas where I
10 think there is a great deal of concern and a lot of lack of knowledge.

11 All right.

12 (Slide.)

13 Now what I want to go on to do just for a few minutes is
14 to compare the experiment I just told you about with the kind of
15 experimental manipulations of mammalian embryos that are going on in
16 many laboratories throughout the world as part of basic science and in
17 some cases applied science projects to understand basic biology.

18 I emphasize that none of these procedures that I am now
19 going to talk about a little bit just to put Dr. Wilmut's experiment into
20 some context, none of them are currently going on in humans that I
21 know about. So these are strictly experimental systems and they fall
22 into two general classes.

23 The first which really began about 15 years ago was the
24 ability to add extra genes to an animal's genome and the example that
25 we now read about in the newspaper, for example that would be a very
26 practical use of this technology, would be to make a sheep that can

1 produce a pharmacologically active protein in the milk. So this would
2 essentially have an animal become a factory for the production of some
3 pharmaceutical molecule. This we, indeed, have been able to do for
4 about 15 years.

5 The second technology is slightly newer, about six or
6 seven years old, and it has almost exclusively been restricted to mice.
7 This has not been a technology that is expanded to other mammals.
8 That is to remove a piece of DNA or to disrupt it or to change it in some
9 way from an animal's genome. In some cases this is done so that one
10 could begin to understand what is the function of that gene within the
11 context of the organism and in some cases there is actually a very
12 practical purpose.

13 For example, very recently there was an animal model
14 generated for Huntington's disease. So Huntington's disease is a
15 neurological disorder where there had been literally no advances made in
16 understanding it over the past 25 years partly because there was no
17 good model for it. Now that there is there is a lot of hope, for example,
18 that we will be able to understand what the neurodegeneration in
19 Huntington's is all about.

20 So let me just very quickly take you through these two
21 other procedures and to contrast them and to show how they might be
22 able to be integrated into what Dr. Wilmut has done.

23 (Slide.)

24 So the first is the introduction of the new DNA and this is
25 done essentially by taking a gene in the form of naked DNA and injecting
26 it into the nucleus of a fertilized egg.

1 Now this procedure is inherently inefficient just like Dr.
2 Wilmut's procedure is inefficient. I just -- to contrast with what I showed
3 you earlier, this is done in a lab that does this very well. These are good
4 numbers. If you take 100 fertilized eggs and you inject them and
5 implant them back into a host mother you would be lucky if 20 of these
6 animals are born. So there is a lot of loss probably because the egg is
7 disrupted and implantation is inefficient.

8 If you are lucky five of them, about a quarter of them will
9 actually carry that extra piece of DNA. So the ability to get the DNA to
10 stay is inefficient. Then if your goal is to express that piece of DNA then
11 the real hooker comes and that is that anywhere from none of them to
12 100 percent of them will express the gene of interest. So from the
13 perspective of someone trying to use this kind of technique in animal
14 breeding experiments, for example, this is inherently inefficient.

15 Now how would Dr. Wilmut's experiment have any impact
16 on this?

17 (Slide.)

18 Well, this is really taken almost directly from what Dr.
19 Wilmut has, in fact, proposed he is interested in doing and that is to take
20 these same mammary gland cells that are in tissue culture and to now
21 introduce a gene instead of by injecting it into an egg, introduce it into
22 this tissue culture.

23 This is something we know how to do. We have been
24 doing this for about 20 years. And then he would be in a position to
25 measure which one of these cells was making the most of the product,
26 whether it is human insulin or whether it is Factor 8, whatever it is.

1 Unless he has found the cell line that is producing the biggest amount of
2 this protein. That is the cell line he then fuses with the enucleated
3 oocyte and the goal, of course, is to have 100 percent of the live born
4 progeny producing the protein of interest in the milk.

5 The reason I put all those question marks there is that we
6 do not know if this is going to work. Neither does Dr. Wilmut. In other
7 words, if -- can we predict based on what happens in a tissue culture
8 cell, can you, in fact, what is going to happen once you have that cell
9 back in a mammary gland? This is going to have to be experimentally
10 tested.

11 (Slide.)

12 But again just to compare these two techniques in terms
13 of efficiency and strategy for someone who is interested in making a
14 herd of these animals, here on the left I have put sort of the path again
15 that I showed you a few minutes ago for using the transgenesis
16 approach. At the very end you have got uncertainty, complete
17 uncertainty about whether the gene is going to work. And on the right
18 you have the way in which this same experiment could be using this new
19 technology. That is -- and I will show you where the question marks are.

20 You, in fact, could transfer a 100 eggs. Of course, we do
21 not know how many are going to be born, right? That is a complete
22 unknown. However, we would know that 100 percent of them would
23 carry the DNA. So that is different than the transgenic approach.

24 We have eliminated one uncertainty and then we still are
25 left with this question mark. Would, in fact, this be a good strategy for

1 producing an animal that is making a lot of the gene product in the milk?
2 And we do not know the answer to that.

3 So this, in fact, I really did take directly out of Dr.
4 Wilmut's paper. I think this is interest in this technology. He is
5 interested, in fact, in asking whether this technology is going to be
6 significantly better than what is already existing technology which works
7 inefficiently but works.

8 Now those of you on the committee who have already
9 started thinking about reproductive technologies will appreciate that this
10 is a form of gene therapy in the sense that one is introducing new
11 genetic information. The difference, and it is critical, the difference is
12 that the kind of gene therapy that one is, in fact -- that is going on
13 already in human beings is not affecting every single cell of the organism
14 that is potentially the recipient of gene therapy. In fact, most gene
15 therapies targeting a small number of cells for the expression of the
16 gene is going to be really critical.

17 This kind of technology is absolutely to my knowledge not
18 going on in humans and the reason is extremely clear, and that is that
19 when you introduce a piece of DNA through either this method or this
20 method currently you have no idea where that piece of DNA is going to
21 end up in your genome.

22 It could end up in a place where it is totally innocuous to
23 the organism. It could end up right in the middle of an essential gene.
24 And at the moment -- by this kind of basic strategy we have no way to
25 control that. So for very obvious reasons then this kind of procedure is
26 not going on in human beings.

1 So I think given the length of time I think I am going to
2 stop there and entertain questions.

3 Yes?

4 PROF. CHARO: I wonder if you could go back to the
5 overhead that you had concerning Dr. Wilmut's data in which he starts
6 with 277 and moves to 259?

7 DR. TILGHMAN: Yes.

8 PROF. CHARO: If you could throw that up just for a
9 second.

10 DR. TILGHMAN: Yes.

11 PROF. CHARO: Great. Thank you. Looking at the drop
12 off from 247 to 29 in developmentally -- in developing appropriately, I do
13 not remember from the paper if there was any discussion about the
14 breakdown of observed kinds of development, each one differently
15 inappropriate. Was that kind of thing taken into -- was that kind of thing
16 recorded?

17 DR. TILGHMAN: No. No. So there was not sort of a
18 breakdown that these had gotten to the two cell stage, these had gotten
19 to the four cell stage, which he probably could have presented in the
20 paper. But to put that 10 percent success rate into perspective I am not
21 sure that this is very different than what we would see without a great
22 deal of manipulation of the egg to begin with.

23 PROF. CHARO: Right.

24 DR. TILGHMAN: This is an inherently inefficient process
25 that is just -- that -- on top of which we have added new degrees of
26 inefficiency essentially.

1 PROF. CHARO: But would this coupled with an
2 examination of the miscarries and stillbirths be the research agenda for
3 identifying how it is that things go wrong to look for clues to
4 understanding what is not working in terms of reactivation or -- I am
5 trying to understand how it is that one is going to begin to get at what
6 was on your list before of unknowns, which has to do with the kind of
7 sequential activation of genes that are needed later --

8 DR. TILGHMAN: Right.

9 PROF. CHARO: -- later in the developmental process.

10 DR. TILGHMAN: I think that there are sort of two levels to
11 your question and it really does have to do with the fact that the
12 inefficiency fall into two different classes. The first inefficiencies come in
13 the inefficiencies that are inherent every time you take an embryo out of
14 its normal context. That introduces some level. Whether it is 90 percent
15 or whether it is 50 percent can be experimentally determined. That can
16 be really experimentally determined. And then on top of that we have
17 the inefficiency that will come from the manipulation that you had
18 specifically done. And in animals the relative contributions of those two
19 to this can, in fact, be experimentally determined.

20 Yes, we could do that.

21 Yes?

22 DR. BRITO: I have several questions for clarification.

23 DR. TILGHMAN: Yes.

24 DR. BRITO: Since you are talking about the efficiency
25 versus inefficiency right now. I understand the inefficiency based on a --
26 just scientifically there. What about financially because I think it is

1 important to understand that. What -- when we are talking about this
2 inefficiency, what are the economic implications of trying to fuse 277
3 and ending up with one live birth? What is that? That is the first
4 question.

5 And then the second question is the definition of "cloning"
6 you started off with in the beginning. If you could clarify the public
7 definition or understanding of what cloning is and the scientific definition
8 of cloning. In other words, I have seen transgenic cloning. Does the
9 public understand that to be included in a general definition of cloning?
10 What does science define exactly to be cloning? Is it more inclusive than
11 we seem to understand just duplicating human beings or animals, et
12 cetera?

13 And a third -- you implied -- I want to make sure that this
14 -- that the oocyte contains a substance that reactivates genetic
15 duplication, et cetera. Did you imply that it is not known what that
16 substance is and is anyone working on that right now?

17 DR. TILGHMAN: So it is not known what are the
18 components in the oocyte that are capable of reactivating a genome.
19 People are studying that intensively within the normal developmental
20 context because it is very important to understand that from a normal
21 developmental context. So that is an active field of investigation in
22 experimental animals. It is not going on at all, of course, in humans.

23 The financial issue, I think, really comes back to -- it
24 might be easier to talk about this in the context of this:

25 (Slide.)

1 The financial issues are a highly complex one, a subset of
2 issues, and that is if you are an animal breeder and if your goal is to
3 produce a herd of animals that have a particular characteristic, whether
4 it be, you know, sort of a pharmacologically relevant characteristic like
5 producing, you know, clotting factor in your milk or whether it is simply
6 producing the most milk, or whether it is producing the most lean beef,
7 you know, whatever your goal is.

8 And if this is a strategy that can ultimately lead to you
9 being successful in that, I do not think we know what the answer is to
10 your question about which of these two kinds of basic strategies. This
11 then is ongoing and this which is now a potential alternative. We do not
12 know what the financial outcome is going to be here in terms of which of
13 these is ultimately going to be more efficient. I do not even know how to
14 calculate -- I would not even know how to begin to calculate that.

15 Part of the reason we do not know is all these question
16 marks. Right? These question marks are going to determine to a large
17 extent whether ultimately animal breeders are going to go down this
18 path or they are going to stay on this path which is tried and true.

19 DR. HOLTZMAN: Dr. Tilghman?

20 DR. TILGHMAN: Yes?

21 DR. HOLTZMAN: Maybe I can explain a little bit about
22 why your motivations would be for going this -- and filling in some of
23 those numbers, and it is actually species specific. Because, for example,
24 first off the numbers in livestock are worse than you have shown in mice.
25 The transgenesis that requires injecting the egg preferably at the stage
26 soon after fertilization when the pronuclei are distinct, if you are dealing

1 in pigs, for example, that actually requires that the male and female
2 mate and you go in and recover those eggs at the exact right moment so
3 you get a whole bunch of eggs that are not at the right moment which --
4 and those donor animals that you have super ovulated you have to
5 destroy. It is very expensive. Okay.

6 In other species such as bovine you can actually do in
7 vitro fertilization which means you can go to the slaughter house and you
8 can get ovaries and super ovulate out of the ovaries so you do not have
9 the cost of the donors. Okay. That gets into some of the complexities.

10 In the other technique you do not have this timing issue
11 since you can just deal with oocytes where you do not have to worry
12 about the fertilization rates. So there is economics that are greatly at
13 your advantage if you can do that. Again you get into species specific
14 difference.

15 You saw Shirley's slide about culturing in the oviduct.
16 Probably what you are trying to do there is see whether or not you have
17 got good development to a certain point. It is a culling process. Again
18 in swine, and I know many people have heard about the notion of organs
19 for transplantation coming from swine, that is probably not do-able. It is
20 more successful in sheep.

21 The last place where you would be looking for economic
22 advantage of this method is actually after the slide where actually --

23 DR. TILGHMAN: Right.

24 DR. HOLTZMAN: -- there is another point is -- you did
25 mention choose the better producer and then after you have got the
26 animal that you want being able to replicate that animal. Okay.

1 The real advantage is what Shirley did not get to and that
2 is targeted gene addition. All right. Which is currently possible in the
3 mouse. It requires a kind of cell line called an embryonal stem cell line.
4 All right. Which while there are reports in the literature, there were even
5 patents issued on, for example, porcine embryonal stem cells, to my
6 knowledge no one has made it work in the livestock animal. When you
7 have targeted gene addition you can ensure that you put your transgene
8 into a place where it will work.

9 DR. TILGHMAN: Right.

10 DR. HOLTZMAN: And that it will not disrupt other things.
11 You can do targeted gene addition in a cell culture which means you
12 could then achieve that using this methodology in the absence of
13 embryonal stem cells from these livestock species and that is the critical
14 advance that would be -- and that is not just a -- so now you have moved
15 from the economic advantage of this to considerations of being able to
16 do things you are otherwise not able to do other than in the mouse.

17 DR. TILGHMAN: David?

18 DR. COX: Shirley, so far we have had this discussion,
19 okay, that this is a fact. So science works in a process. So what is the
20 process that science works through to say, in fact, okay, a sheep has
21 been cloned? And is there sufficient data from a scientific process point
22 of view, okay, to say this event has even occurred? We are talking -- you
23 are talking quantitatively. I am talking qualitatively. Has it happened?

24 DR. TILGHMAN: So what David is referring to is the fact
25 that at the bottom of this we have the number one.

26 (Slide.)

1 And, in general, the number one in science is usually not
2 good enough as a formal proof that something has occurred, that part of
3 the scientific process that all of us belief fervently in is the importance of
4 replicability, the ability of not only you to be able to reproduce your
5 experiment but probably more importantly that you be able to describe
6 your work clearly enough that someone else could reproduce it as well.

7 So what David is expressing is skepticism that with the
8 report of a single live birth one should, in fact, view this as a tentative
9 result until, in fact, it has been replicated and most importantly by
10 someone other than Dr. Wilmut. Then I think -- then the requirement of
11 scientific proof in that case has been met.

12 DR. COX: I mean, I want to make it clear that that casts
13 no aspersions on Dr. Wilmut or on this work.

14 DR. TILGHMAN: Right.

15 DR. COX: Okay. But this is the scientific process and
16 since we are talking about science here that should come into this
17 analysis.

18 DR. TILGHMAN: Yes?

19 DR. MIIKE: Well, first my question will be sort of opposite
20 of David's. One of the rate limiting factors in here they say the number
21 of ewes that must be used in order to plant, what is the state of artificial
22 uteri and what will this do for -- in terms of driving science toward the
23 development of that because it seems like if I were out there as an
24 entrepreneur I would see this as an opportunity or a field for long term
25 investment.

1 DR. TILGHMAN: So I can only really speak for what I
2 know about what is going on in experimental animals and not in farm
3 animals, and maybe someone who knows more about what is going on in
4 farm animals can comment. In experimental animals I know of really no
5 credible work right now that is going on trying to create an extra uterine
6 environment that would allow full development to proceed, for example
7 in mice.

8 We, in fact, can culture mouse embryos to a certain point
9 in development and at that point the embryos literally do not make it any
10 further and the reason is I think relatively clear and that is that we have
11 arisen as organism to develop as a parasite of our mother. Those of us
12 again with teenagers would say this does not end.

13 (Laughter.)

14 DR. TILGHMAN: But reasonably there is throughout most
15 of embryogenesis and fetal development this incredibly intimate
16 conversation that goes on between the uterus and the mother and the
17 embryo. And that is providing all kinds of cues, all kinds of signals,
18 growth factors, growth directors that we know almost nothing about. So
19 there is so much basic knowledge that must be acquired before we can
20 begin to think about certainly in the case of the experimental animals
21 that I know about and maybe you know more about what is going on
22 other --

23 DR. MIIKE: Let me ask you a follow up question.

24 DR. TILGHMAN: Yes.

25 DR. MIIKE: If there is the ability of extrauterine to go into
26 partial development --

1 DR. TILGHMAN: Yes.

2 DR. MIIKE: -- that still raises for me the question about
3 the "utility of half baked products" in terms of one can think of uses of
4 these embryos not to the full development stage but as the -- do you see
5 what I am trying to get at? There is utility --

6 DR. TILGHMAN: Right.

7 DR. MIIKE: -- in the different stages as you go through
8 them without having to get to the full development stage.

9 DR. TILGHMAN: That is correct. That is correct. And I
10 think that there is -- in fact, one of the things that I did not show just
11 because I was running out of time is that these embryonic stem cells
12 that were being referred to are derived from early embryos. And there is
13 I think a hypothetical, and I emphasize that this is really a hypothetical,
14 ability to taking these cells, which are these early, early progenitor cells
15 and learning how to direct them in one way or another in a tissue culture
16 environment.

17 We can do it with inefficiency at the moment to get
18 embryonic stem cells to make blood cells. This is being done
19 experimentally. But could we, in fact, and there really should be
20 question marks here, could we now take embryonic stem cells and could
21 we learn enough about what are the requirements to get them to head in
22 the direction of liver or into the direction of pancreas, for example.

23 There are people who are working on these kinds of
24 issues in the mouse primarily directed towards trying to figure out what
25 those signals are from a basic biology point of view. So you are correct
26 in the sense that we cannot get this blastocyst to go much further in

1 development but as a tissue culture line we might be able to figure out
2 how to get it to go in one direction or another.

3 Yes?

4 DR. EMANUEL: On your efficiency slide from Dr. Wilmut's
5 study, it seems to me that there are two qualitative aspects to the
6 inefficiency. One is that you start out with 277 and you get a 90 percent
7 fall off. But then once you have the 29 that you can identify in the lab
8 you then get to a three or four percent efficiency rate in terms of --

9 DR. TILGHMAN: Right.

10 DR. EMANUEL: -- getting one live birth.

11 DR. TILGHMAN: Right.

12 DR. EMANUEL: And that is a lot different than 99 percent
13 or 99.9 percent inefficiency it seems to me. You are beginning to talk
14 about real numbers of success. Can you say anything about improving
15 that from three to four percent up to say 15 or 17 percent? 15 or 17
16 percent is the IVF success rate round about. And that is only sort of four
17 -- you know, improving efficiency fourfold.

18 DR. TILGHMAN: Right.

19 DR. EMANUEL: Not a whole lot.

20 DR. TILGHMAN: I mean I think that you can begin to do
21 that once you understand the basis for the difference, right? Why isn't it
22 at IVF levels? I think that that will only come from experimentation.

23 Carol?

24 DR. GREIDER: I would just like to comment on that. With
25 the number one live birth since there is no standard deviation there we
26 cannot say that that is three percent.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

(Laughter.)

DR. TILGHMAN: Right.

DR. GREIDER: There is no percent and we do not have any way to evaluate it.

DR. EMANUEL: Fair enough.

DR. TILGHMAN: Yes?

DR. SHAPIRO: You have got to the zero -- it is somewhere between zero and 100. You are sure of that.

(Laughter.)

DR. SHAPIRO: I am sorry. There is another question down here.

Bernie?

DR. LO: First I wanted to thank you for a very lucid and very helpful presentation. I would like to ask you to sort of help us understand sort of the long-term implications not for sort of making more efficient sort of processes whose goal is to produce a desired protein in, for instance, breast milk but in terms of basic science understanding of what controls cell differentiation and expression of genes.

DR. TILGHMAN: Yes.

DR. LO: Can you help us understand what sort of basic science knowledge is likely to be gleaned from this technology that was not going to be gleaned very easily from preexisting technologies that would ultimately help us not to necessarily produce commercial products more efficiently nor even necessarily to increase IVF efficiency but to help us understand things about the basic cell biology that might lead to

1 advances in whatever, understanding why cancers grow, why organs get
2 rejected and ultimately to therapies and vaccines.

3 It seems to me in some ways those kinds of potential
4 benefits if they are there are a very different sort of benefit than saying
5 the benefit is to produce pharmacological products more efficiently than
6 we now can do or to have a more efficient treatment for infertility.

7 DR. TILGHMAN: I think there is going to be a small
8 contribution of this technology to those kinds of basic questions. The
9 most basic question and one that actually I have spent almost all my
10 professional life trying to understand is how, in fact, do specific
11 pathways choose those ten percent of the genes that should be
12 expressed in this lineage in order for you to be a liver cell, not you
13 personally but for a stem cell to become a liver cell.

14 And that is an enormous field of biology right now. There
15 is a -- you know, I do not know what Carol would think what the numbers
16 would be but, you know, literally tens of thousands of biologists who one
17 way or another ultimately are trying to understand that question. Do I
18 think this new result is going to contribute dramatically to that
19 understanding? Personally no, I do not think it is going to.

20 I think that we already have all the tools that we need to
21 ask the question what causes gene reactivation after fertilization. I
22 mean, we can study that process in its most natural context which is in
23 natural fertilization so I see little contribution there.

24 Will it allow us to ask the question whether when we
25 silence genes later on do we do it in a way that is permanent versus

1 impermanent? That is a question that perhaps could exploit this kind of
2 technology.

3 So I do not think that there is -- that -- as a developmental
4 biologist I do not see this technology having the same impact on the field
5 of developmental biology as some other things that I will mention. It will
6 have a role but I would predict in the end a modest role.

7 Yes?

8 PROF. CHARO: I think I am going to be asking you now
9 for a Bio-101 on something and it is the DNA contained in the
10 mitochondrion.

11 DR. TILGHMAN: Yes.

12 PROF. CHARO: I wonder if you could help me understand
13 because I have not done genetics since I was in college, which is a long
14 time ago now, what we now know about the role of mitochondrial DNA
15 and speculation on the effects of fusing mitochondrial DNA from the
16 donor of the nucleus with the donor of the egg cell, speculation on the
17 phenotypic consistency between the clone and the adult because of this
18 difference in the mitochondrial DNA as well as among clones since
19 presumably if you had multiple clones from a single adult they each have
20 started with eggs from different adults unless the eggs are coming from,
21 you know, a series of second generation clones.

22 DR. TILGHMAN: This sounds like Bio-301 to me.

23 (Laughter.)

24 PROF. CHARO: It starts with what is mitochondrial DNA.

25 (Laughter.)

1 DR. TILGHMAN: It got very sophisticated very quickly it
2 seems to me. So what you are referring to is that all of our genetic
3 information does not come in the nucleus itself but a very small
4 percentage, and I think I saw the number the other day, is something
5 like .01 percent of our DNA is actually encoded outside the nucleus in
6 these very small but extremely organelles that exist in the cytoplasm. In
7 other words, the rest of the cell that is left behind when you take out the
8 nucleus.

9 Mitochondria are essentially there are for energy
10 metabolism and so they are, in fact, the energy work horse of the cell.
11 They are the part of the cell that allows you to use energy and to create
12 energy, to create new energy, so they are critical. You do not survive
13 without them.

14 Now if you think about what is going to happen in that
15 fusion event where you take this now egg that is going to be chock full of
16 mitochondria all of which are derived from the mother, right, there is no
17 paternal contribution at this point, and you essentially electrically
18 introduce the contents of that mammary gland cell into this now
19 enucleated oocyte.

20 One of the questions I do not think that has been
21 answered, at least I have not seen anybody really talking about it, is do
22 mitochondria get transferred at the same time from the mammary gland
23 cell. So will that individual now be a mosaic in terms of mitochondria.
24 Some of the mitochondria coming from the original oocyte and some of
25 the mitochondria are coming from the donor cell, you know, if it is a
26 mammary gland cell, if it is a whatever, right.

1 Now there are individuals here who are -- who have
2 different kinds of mitochondria, different genetic, they are called
3 heteroplasmic -- what is it, David? A heteroplasmic?

4 DR. COX: Heteroplasmid.

5 DR. TILGHMAN: Heteroplasmid for mitochondria. So
6 that is tolerated just fine. I mean, you could have mitochondria that are
7 genetically slightly different in an individual.

8 So I am not sure there is going to be -- this is going to be
9 a major -- have a major impact on this experiment. However, what it will
10 ensure is that the individual animal that grows up from that fusion will
11 not be 100 percent genetically identical to the animal from which the cell
12 was obtained because the mitochondria are largely going to be different.
13 And there are -- you know, there are clearly important functions that are
14 carried out by those genes in the mitochondria that are going to have an
15 impact on the physiology of the animal. So they will not be true clones
16 the way identical twins are true clones -- you know, true genetical
17 identical individuals.

18 Harold?

19 DR. SHAPIRO: Shirley, I am going to have to make this
20 last question since I am conscious of both your time and our time so
21 before the question let me thank you very much for being here with us.
22 You have been extremely helpful. I just want to ask a question, I am not
23 sure I can formulate it correctly, but you did have an overhead up there
24 called "Scientific risks or unknowns," I have forgotten, "Risks and
25 unknowns," and you had two major items there, a few more were

1 suggested here, and as you said the list could get longer if we spent a
2 little longer at it.

3 DR. TILGHMAN: Yes.

4 DR. SHAPIRO: If you would speculate for a moment only
5 with trying to get a better handle on these risks and unknowns in
6 animals, is that a short-term research project, an extremely long-term
7 research project, how would you assess that strictly now dealing with the
8 issue in terms of animals?

9 DR. TILGHMAN: I think it is long-term. I do not think
10 that there are going to be quick and easy answers to some of these
11 unknowns. I think that all of the issues that were on that slide and some
12 of the ones that came afterwards are experimentally testable so it is not
13 long-term because we do not even know how to ask the question.

14 We do not know how to design the experiment. Until
15 really this publication there was not an opportunity to ask these
16 questions but now that there is the potential at least in some animals to
17 ask the question, you know, I could think of designing experiments that
18 could get at some of these issues.

19 The hardest one is going to be somatic mutation because
20 somatic mutation is not a common event. You are going to be capturing
21 rare events and that always means long-term.

22 DR. SHAPIRO: Once again thank you very, very much for
23 a very thoughtful presentation.

24 (Applause.)

25 DR. SHAPIRO: If we restrict ourselves to a fifteen minute
26 break we will only be five minutes behind. So please because we have

1 visitors here who may have their own schedule I would like all the
2 commission members to be back in fifteen minutes.

3 (A brief break was taken from 1:37 p.m. until 2:03 p.m.)

4 DR. SHAPIRO: We had scheduled this part of our session
5 to begin at 2:15 but we have got so much material on our agenda that I
6 thought we would take advantage and get started a few minutes early.

7 Dr. Gilbert Meilaender I believe is not here yet. Is Dr.
8 Meilaender here from Valparaiso University? I presume he will be here at
9 approximately 2:15 and he will join us at that time but I think we could
10 certainly use the extra time this afternoon and so I would like to get
11 started at this time.

12 First of all, let me extend a very warm welcome to our
13 guests who will be speaking to us today from different perspectives,
14 perspectives of different faiths, more directly of course from their own
15 thoughts and scholarship over the years, and thank them for responding
16 to our invitation which gave them very short notice as well and very
17 much appreciate the efforts they all must have gone to, to rearrange
18 their schedules and be with us here this afternoon. We are really very
19 grateful to them.

20 I will repeat what I have already said this morning.
21 Namely that we are interested in having access to a broad set of views
22 on these issues and we will certainly encourage others from other
23 perspectives to -- if they wish to, to address us in the public comment
24 section, if not to provide us with written materials which we will
25 distribute to everyone on the commission so that we can think carefully
26 about their particular perspectives.

1 If our guests do not object I will slightly reverse the
2 agenda here this afternoon. The agenda for -- I do not know, perhaps if
3 this was done in alphabetical order or whatever, I do not know how it
4 was scheduled quite in this way, but we had thought we would hear from
5 Dr. Duff and Dr. Meilaender first followed by Dr. Cahill and Rev. Dr.
6 Albert Moraczewski. If there is no objection I will just reverse that order
7 and begin with Dr. Cahill and then go to Rev. Dr. Albert Moraczewski.

8 Dr. Duff, is that all right with you?

9 DR. DUFF: Yes.

10 DR. SHAPIRO: So let's begin then by welcoming them
11 again and turn first to Dr. Cahill.

12 DR. CAHILL: Thanks.

13 DR. SHAPIRO: That is right. The scheme is you press
14 the button, the red light goes on, and then you are on microphone.

15 RELIGION-BASED PERSPECTIVES ON CLONING OF HUMANS I

16 ROMAN CATHOLICISM

17 DR. LISA CAHILL

18 DR. CAHILL: Okay. And then you can talk. All right.
19 Thank you.

20 Thanks for giving me the opportunity to be with you. I will
21 try and make my comments relatively brief and leave a short paper
22 behind also in case you would like to take a look at them later.

23 I really have three comments or there topic areas that I
24 would like to introduce as part of this discussion as moral issues related
25 to cloning and they are basically the issue of individuality, the issue of
26 co-modification, and the issue of family. But before I get into that I

1 would like to make just two preliminary statements about the possibility
2 of religious communities participating in the dialogue about policy on
3 cloning.

4 The first comment is that while religious language and
5 religious symbols can bring a prophetic voice to the public's fear they
6 can also be obfuscating and alienating when we use what I think of as
7 kind of magical phrases like the "miracle of life" or "playing God" without
8 relating those very carefully to the human and scientific realities that are
9 on the table. So one of the things that I would like to try to do today is
10 advance consideration of some of those realities.

11 The real questions to my way of thinking are not so much
12 whether humans have any God given or natural right or even
13 responsibility to intervene in the processes of life but rather what
14 constitutes appropriate intervention and where appropriate limits can be
15 drawn. I think those questions of appropriate limits are questions not
16 just for religious communities obviously but for all of us in our society.

17 My second point is related to that. My second general
18 point about religion and the public dialogue. Here I am going to revert
19 to my Roman Catholic standpoint and roots. A particular contribution of
20 the Roman Catholic tradition is to speak to the question of religion and
21 public discourse by affirming that, indeed, there are some basic human
22 experiences, basic human values, basic human obligations and limits
23 that we can talk about in common.

24 In fact, our 100 year old tradition of Papal Social
25 Encyclicals which talks primarily about economic issues, government
26 issues and political issues is testimony to that commitment to talk about

1 the common good together across moral, political and religious
2 traditions. So it is in that spirit that I come to you today and that I hope
3 to talk in human terms as well as religious terms about cloning.

4 Now I would like to move to my three substantive points
5 about the cloning of humans and as I mentioned they have to do with
6 human individuality, with the co-modification of medical techniques and
7 technologies in general, and finally with the issue of family.

8 So, first of all, individuality. The popular press has
9 provided us with some great visual aids on this issue. We have
10 Newsweek's three identical babies. We have Times two ewes and inside
11 even more frighteningly or promisingly depending on your point of view
12 we have five Dennis Rodmans. Okay.

13 (Laughter.)

14 The amount of play in the popular press and popular
15 conversation that has been given to the issue of individuality is quite
16 striking to me. It causes me to ask what is it that people are actually
17 afraid of? Okay. Where is the terror in cloning? I think for many people
18 it lies in a perceived threat to individuality because absolute individuality
19 is the ground of our political tradition's prized equality, liberty,
20 autonomy and privacy. And to many Americans individuality and
21 autonomy seem like the moral sine qua non without which there can be
22 no real moral content to our social life.

23 But as I am sure everyone else here is well aware,
24 especially because I know that this morning you heard scientists, but
25 even on a little bit of practical reflection it is pretty obvious that a cloned

1 individual could never grow up to be the exact copy of the individual who
2 was the origin of the DNA.

3 As the mother of identical twins myself I can tell you that
4 a shared genetic code is not enough to create true identity even between
5 same sex children raised in the same household, never mind individuals
6 raised at different times and in different environments.

7 But I think it would be a mistake to assume that once we
8 have rebutted the individuality argument against cloning we have
9 rebutted the major real arguments or even that we have gotten rid of the
10 fundamental issue under the argument about individual uniqueness.

11 One of the things that I would like to point out and
12 emphasize quite strongly is that our cultural tradition, including its
13 moral traditions, tends to assume that autonomy should hold the most
14 privileged and central place in moral thinking. That is why the popular
15 mind and the mind of most of us go immediately to that issue of
16 individuality and want to debate that back and forth.

17 But while autonomy is certainly a keen moral value as
18 well as political value in our tradition I think that an excessive focus on
19 that can prevent us from seeing why other values as well are socially
20 important and protectable and why certain freely chosen practices can
21 still be wrong even if they do not result in immediate or quantifiable
22 harm or direct infringement on the options of other free agents.

23 A narrow focus on autonomy to freely choose personally
24 preferred goals undermines our ability to talk together about what would
25 go to make up a good society and what we can do concretely to move
26 towards one. In addition to autonomy and individuality we need to place

1 on the table other human goods like the interdependence of all in the
2 society we create for ourselves and for our children, or concern for the
3 well-being of people with less decision making power than all of us
4 sitting here in this room with fewer options.

5 Certainly we need to keep on the table a sense of
6 restraint in the face of the profit motive. So I would say that we need
7 more than autonomy in order to morally and socially consider the
8 scientific imperative as it is sometimes phrased or free enterprise. We
9 need to put those agendas in a broad and humanistic context which
10 includes but extends beyond self interest and self determination of very
11 talented scientists and very shrewd entrepreneurs. That leads me to my
12 second area of focus here and that is co-modification. That is closely
13 related to what I have been talking about.

14 Treating others as means to the ends of those with more
15 status, more privilege and more power is represented in a particularly
16 clear way by the dominance of the market in issues of human health and
17 human life. Some bioethicists that have been quoted in the press over
18 the last few days such as Daniel Callahan and Lori Andrews have even
19 gone on record as predicting that economic incentives will control when
20 human individuals will be cloned and not any supposed ban.

21 There was a very compelling, a very frightening but also
22 impressive editorial by Kirkpatrick Sayle in last Friday's New York Times
23 and its title was "Ban Cloning, Not a Chance." To illustrate the cult of
24 progress which ensures that science will proceed with little conscious
25 and few restraints Sayle quoted the makers of the atomic bomb. He
26 quoted them as saying, "When you see something that is technically

1 sweet you go ahead and do it." And "Technological possibilities are
2 irresistible to man." Those were quotations from Oppenheimer and Van
3 Neumann respectively.

4 History teaches us, I think, that every instance of human
5 progress creates an equal and opposite opportunity for moral and social
6 regress. Let us not be naive, neither nuclear power nor new genetic
7 technologies like are cloning are intrinsically beneficent instruments for
8 the improvement of the human lot.

9 The Catholic social tradition has always exhibited
10 confidence that human decisions and policies can be influenced by
11 reasonable public discourse about values but my level of pessimism
12 about self interest and profits as the key motivators of human behavior
13 is rising quickly. The Doctrine of Original Sin is a religious symbol which
14 springs all too readily to mind for the theologian.

15 Where people can make a buck they will and a variant on
16 the same theme is the irresistible attraction of research prestige via
17 landmark discoveries or even on the part of bioethicists, myself, a desire
18 to protect our place close to the centers of economic and political power
19 by refraining from damning commentary.

20 Certainly cutting off federal money will not be a deterrent
21 to the cloning of humans. Stronger measures and more profound
22 attention to our social values and the way we express and promote and
23 change them will be required. Now just to add a footnote here, cloning a
24 human being can be and should be distinguished from other kinds of
25 genetic research which helps us in the pursuit of disease therapies.
26 Profits are not completely out of line and immoral when we are talking

1 about development and marketing even of disease therapies. Or at least
2 that is certainly part of our current tradition.

3 So I am not trying to suggest that the entry of economic
4 incentives at any point in this process is immoral or should be prohibited
5 by policy nor should all research having to do with the behavior of
6 human genes and control of human genes, that does not need to be, you
7 know, banned or legislated away either but the tricky part, the task is to
8 distinguish carefully and prudently between categories of research and
9 not let sort of the profit incentive in one area have a big spill over effect
10 into the other so that the whole thing is either accepted or banned as
11 one big category. So there are distinctions to be made. It is difficult. I
12 realize there will always be ambiguities but in my view that is not enough
13 to deter the process.

14 Finally the issue of family which I am using as a broad
15 category here. Up until now every human child has had two parents.
16 The biological relation between parents and children is a symbol of
17 reproductive, social and domestic partnership with great personal and
18 social significance. Historically and cross culturally families in all their
19 variety of cultural form have been key institutions for the structuring of
20 societies. A cloned individual will have a biogenetic link to one lineage
21 only.

22 In the first relatively innocuous cloning cases we might
23 imagine like an infertile couple using genetic material from one spouse
24 only to create a child without having to resort to donor gametes the child
25 will have a genetic relation at only one step removed after all to both of

1 the lineages of the cloned parent. But it would, of course, be possible in
2 time to develop all male or all female genetic lineages.

3 It would be possible for female lineages to proceed
4 without any male contribution at all and it would be possible for one
5 woman to create her own child using her own ovum and DNA. My
6 feminist instincts are at one level attracted to this possibility at least in a
7 kind of iconoclastic move but the bottom line is that I am far from sure
8 that separating male and female procreation or making men
9 unnecessary to the procreative process at all would work to the ultimate
10 advantage of women. I am pretty sure it would not work to the
11 advantage of human responsibility for the next generation.

12 So the child who is truly the child of a single parent would
13 be a genuine revolution in human history and her or his advent should be
14 viewed with immense caution. In my view it is not too strong to say that
15 cloning is a violation of the essential reality of human family and of the
16 nature of the social related individual within it. Of course, I am talking
17 about cloning an individual not other kinds of experiments with genetic
18 material.

19 In conclusion, I hope the National Bioethics Advisory
20 Committee will take up questions of the common good, will resist the
21 technological imperative and market forces, will engage in moral
22 reflections that go beyond autonomy, informed consent and even
23 immediate identifiable harms to specifiable individuals.

24 Please provide our nation with a forum in which to set our
25 sights on the big long range social picture that can be so difficult to

1 envision, to assess, and even to regard as a meaningful context of ethical
2 responsibility and action.

3 It can and should be possible to discuss prudent nuance
4 policies that resist pressures from either advocates or detractors of
5 cloning to place the cloning of individual humans in the same policy
6 category as research on disease therapies.

7 In the debate about human cloning the NBAC may have
8 an opportunity to begin to create a more reflective, more cautious, more
9 farsighted, less entrepreneurial and pragmatic social ethos in this
10 country.

11 Thank you.

12 DR. SHAPIRO: Thank you very much for your remarks.

13 In order to make sure that we give each of our speakers
14 here this afternoon adequate time the way we will do this is I will ask Dr.
15 Moraczewski to speak to us next and then we will go to a period of
16 discussion and questions and then we will do the same thing for the
17 other two speakers.

18 I am afraid that if we get into discussion after every
19 speaker we will just leave our last speaker with very little time and I
20 really do not want to do that.

21 Dr. Moraczewski?

22 REV. DR. ALBERT MORACZEWSKI

23 DR. MORACZEWSKI: Thank you, Dr. Shapiro.

24 Now we are going to have a change of pace and a change
25 of face. I am sure that Dr. Cahill is much more attractive to look at than
26 I.

1 I also want to emphasize by way of a preamble a very
2 important point. Being both a scientist and a theologian, though I am
3 speaking here primarily as a theologian but as a member of the religious
4 body, the Catholic Church, I am approaching this from a different angle
5 than I would if I were approaching it as a scientist or approaching it as
6 an academic theologian. So when I am saying I am approaching this
7 from what I believe is would be the church's, the Catholic church's
8 position, the best I can understand it from its documents and its
9 tradition. So it is from that perspective that is important to understand
10 the way I am approaching the topic.

11 Because it belongs in the Catholic church and generally in
12 many churches the source of their beliefs and their actions, and their
13 policies are at least for Christians and Jews the Scriptures, and then not
14 only the naked Scriptures but the Scriptures have been interpreted and
15 understood over many centuries, and then for the Catholics particularly
16 there is the understanding that the living Catholic church of each
17 generation has the position of authority in interpreting that tradition,
18 that Scripture and whatever facts we can get from it. So I will be
19 alluding then to authoritative statements from the Pope.

20 Now ordinarily it is the Pope who speaks to that subject
21 for the whole church and it is each Bishop in his respective diocese that
22 speaks to his faithful regarding the topic at hand whatever it may be.

23 With these few words by way of introduction I have the
24 paper that I have given to each member of the commission, it has a brief
25 biography and then I will begin the paper, the rest of it, I will read it.

1 "To be or not to be cloned, that is the question." Is it
2 ethically appropriate to clone a human being? Just because the
3 technology to do so is available does not mean ipso facto that the
4 application of cloning technology to human beings is morally acceptable.
5 Neither Sacred Scripture nor the Catholic Church's moral tradition have
6 explicitly and fully treated this issue.

7 In contemporary times, the Church has noted that
8 "attempts or hypotheses for obtaining a human being without any
9 connection with sexuality through 'twin fusion', cloning or
10 parthenogenesis are to be considered contrary to the moral law since
11 they are in opposition to the dignity both of human procreation and of
12 the conjugal union." That was stated by the Congregation for the
13 Doctrine of the Faith in its paper "Instruction on Respect for Human Life
14 in its Origin and the Dignity of Procreation, February 22nd, 1987."

15 More recently, Joseph Cardinal Ratzinger in an interview
16 published in the Italian daily, La Repubblica, March 5, 1997, stated
17 relative to cloning that "The sanctity of human life is untouchable."

18 Over many centuries the Church has treated in depth the
19 human dignity of each and every individual human being from the
20 beginning of life to natural death. It is that human dignity which is
21 violated, we assert, by the cloning of human beings. The foundation for
22 this dignity, as the Church sees it, is the fact that each human being is
23 called into existence and maintained in existence by a unique creative
24 act of God.

25 Furthermore, each and every human being is created in
26 the image of God. As the Book of Genesis tells us, the "image of God"

1 consists in the dominion, delegated and limited to be sure but also very
2 real, a dominion given to the human race over the creatures that swim in
3 the sea, that fly in the air, or walk on the earth. That dominion is a
4 delegated one with the consequences that humans have a limited
5 dominion for which an accounting must be rendered to God, "The Lord
6 God gave man this order: 'You are free to eat from any of the trees of
7 the garden except the tree of knowledge of good and bad.'" That is in
8 Genesis 2:16-17.

9 Adam and Eve were given freedom in the garden but with
10 one limitation, which if transgressed would lead to death. Accordingly,
11 human beings have been granted intelligence and free will so that human
12 beings can search for, and recognize, the truth and freely pursue the
13 good. In the cloning of humans there is an affront to human dignity for
14 the ones who actively participate in the process as well as for the one
15 who results from the cloning. Yet, it should be noted that in no way is
16 the human dignity of that person diminished.

17 There are two other bases for human dignity which the
18 Church recognizes: (1) every human being has been redeemed by Jesus
19 Christ; and (2) every human being is called to share in the Divine Life
20 and be united to God for a joy-filled eternity. Each and every human
21 being, regardless of race, color, religion, socioeconomic status,
22 nationality, age, or health status, possesses this inherent and
23 incomparable dignity which must be mutually respected by all.

24 Does the cloning of human beings violate this inherent
25 dignity? Yes.

1 And how? It does so by exceeding the limits of the
2 delegated dominion given to the human race. There is no evidence that
3 humans were given the power to alter their nature or the manner in
4 which they come into existence. Cloning involves the deliberate
5 duplication of the genome of an existing person. This would jeopardize
6 the personal and unique identity of the clone or clones as well as the
7 person whose genome was thus duplicated. Would that adult tend to see
8 in the developing clone his or her own biological, psychological, and
9 social development?

10 Identical twins are identical to be sure; but neither one is
11 the source or maker of the other. Cloning also radically alters the
12 manner in which a new human person is brought into this world. By
13 sexual intercourse a husband and wife are united in body and soul to
14 procreate another human being. At the same time, that physical and
15 spiritual act both expresses and strengthens their mutual love and the
16 strength and life and stability of that family.

17 In contrast, cloning introduces a technological
18 substitution which eliminates the need for a male in the procreation of
19 another human being; the clone-child would have no biological father,
20 but obviously it would have at least in some cases a biological
21 grandfather or great-grandfather depending on what the relationship is
22 of the cloning sequence.

23 All that is needed is a woman's unfertilized oocyte, egg
24 cell, and the nucleus taken from a cell of almost any human tissue. A
25 woman could even choose to use both her own oocyte and a nucleus
26 from one of her own body cells so that her offspring would be genetically

1 an identical copy of herself except for differences of age and the
2 influence of environmental factors. In effect, such cloning would be to
3 fashion a human being in the image of the woman.

4 Furthermore, couples who would utilize this technology
5 would be asserting implicitly a right to and over another person. The
6 child is treated as an object of manipulation when the marital act is
7 eliminated and the couple attempts to design and control the very
8 identity of the child. Cloning would offer the opportunity for genetic
9 manipulation of the nuclear genome, perhaps with eugenic intent, before
10 transference to the enucleated oocyte.

11 "The biological nature of every person..." as John Paul II
12 has written "...is untouchable in the sense that it is constituent of the
13 personal identity of the individual throughout the course of his or her
14 history. Each human person in his or her absolute unique singularity is
15 not constituted only by the spirit but also by the body. Thus in the body
16 and through the body one touches the person itself in its concrete
17 reality."

18 While this technology may be a helpful contribution to
19 animal husbandry and the production of medicinal substances it is
20 entirely unsuitable for human procreation even under exceptional
21 circumstances. One may not use, even for a single instance, a means for
22 achieving a good purpose which is intrinsically morally flawed. One can
23 grant that this technology presents an opportunity for increasing our
24 understanding of animal reproduction and indirectly of our own
25 reproduction.

1 DR. SHAPIRO: Thank you very much.

2 We will now go to questions from the commission. I hope
3 there will be some interaction between us and both of the speakers who
4 have just spoken.

5 Eric?

6 DR. CASSELL: Father Moraczewski, I understand where
7 you would have us go and that is quite clear but, Dr. Cahill, I hear
8 ambiguity at every paragraph. On the one hand we are a nation like Gary
9 Larson's cartoon of the penguins all on a rock and one of them saying, "I
10 want to be me."

11 (Laughter.)

12 DR. CASSELL: On the one hand we are a nation which is
13 driven by individuality and autonomy and so that is a current theme
14 where it goes back to the 17th Century. So we are both individual, in
15 which case we would not want to be cloned except for the narcissistic
16 desire it raises in us and anyway cloning does not make another person
17 just like us because they are not going to be exactly like us. They either
18 are or they are not.

19 On the other hand the profit motive is terribly important
20 and it is going to drive it. On the other hand the profit motive has its
21 limitations. On the other hand nothing is going to be done and will be
22 done if technology is sweet. There is no question about it. If technology
23 is sweet it gets done.

24 Now I understand the ambiguity because, in fact, that is
25 the problem. What I am trying to understand is what would you have us
26 do?

1 DR. CAHILL: I do not -- well, first of all, I do not have, you
2 know, a completely developed policy proposal that I am bringing in for
3 you to sign off on. But I -- the point -- I was, I guess, trying to make a
4 couple of points. One about autonomy. I think that the public concern
5 about individuality is like the tip of an iceberg. The individuality issue is
6 not really my basic concern because I do not think it is threatened by
7 cloning.

8 I think that the bigger issue is that we tend to use
9 autonomy and individuality and individual freedom to drive and resolve
10 most of our social problems and that is the one principle that you can
11 get most people in a diverse group to agree on, that autonomy should be
12 respected. Absolutizing or excessively focusing on autonomy, although it
13 certainly is of value, then short circuits our ability to look at other values,
14 other issues, ways in which autonomy perhaps should be eliminated. So
15 I was suggesting that this group could provide a forum for trying to put
16 additional issues on the table.

17 When I mentioned I was quoting from that New York
18 Times editorial where the author mentioned the developers of the atomic
19 bomb and they were the ones that said, you know, "If technology exists
20 then the human drive is to follow it." And where I see a problem or a
21 difficulty, and this includes my approach to this as a theologian, is that
22 indeed there is a very strong human tendency to act on the basis of self-
23 interest and that often plays itself out through economic interest and
24 through the market. It can also play itself out in the so-called scientific
25 drive to take research as far as it will go.

1 So on the one hand I do not want to be overly sanguine
2 about our ability to stop so-called progress by trying to develop a
3 number of bans and caveats and so on, and yet at the same time my
4 more optimistic side wants me to at least place on the table or I do place
5 on the table the prospect that there are human values and moral values,
6 including autonomy but extending beyond that, that we can discuss here
7 together or that our society as a whole can discuss even though we come
8 from different moral and political subtraditions, even though we are
9 members of different religious communities, I still think we can talk
10 sensibly and prudently about the meaning of this research, about types
11 of research that are on the table. It is not just cloning individuals but
12 other researches having to do with disease therapies.

13 So I am pleading for, and urging you to, expressing some
14 hope in, if not absolute confidence in our ability to think carefully about
15 policies or bans and legislation, not to put everything in one basket, not
16 to use autonomy as the only moral principle but to try to look at what is
17 possible, what is not, and what are some of the long-range goods that
18 might be at stake.

19 DR. SHAPIRO: Thank you.

20 We have a number of commissioners who want to speak.
21 I will try to recognize them in some order.

22 Jim?

23 DR. CHILDRESS: I want to begin by thanking both
24 speakers very much.

25 The official Roman Catholic moral thought over recent
26 years has been clearly opposed to a number of reproductive technologies

1 and one could imagine sort of an argument from the positions already
2 taken regarding reproductive technologies to human cloning. But I take
3 it in both your comments there are some distinctive features about what
4 you would take to be suspicion of and recognize again that there are
5 differences between the two positions you have presented at least in
6 tone.

7 What would be distinctive from your standpoint the way
8 you would view the Roman Catholic tradition in relation to human
9 cloning that would be different from the way the arguments might go in
10 relation to artificial technologies generally? I mean, one way to think
11 about this again would be to put it on that kind of continuum and just
12 see how the arguments fit.

13 But would either of you or both of you like to comment on
14 what is distinctive in the opposition to human cloning?

15 DR. CAHILL: Well, we could probably both say something
16 but I will just start by saying and you can amplify it.

17 Of course the thing that is the same is that you do not
18 have procreation through a sex act between committed partners. The
19 thing that is different is that you are creating a child that does not
20 represent the combination of the two intergenerational families that each
21 genetic parent would ordinarily bring. That is the one thing that I can
22 think of that is distinctive about cloning that does not exist in any other
23 kind of reproductive technology or other technologies in general.

24 DR. MORACZEWSKI: I would say also that it represents a
25 greater attempt to control the output, the product, by already specifying
26 the genome. Whereas when you have a man and woman sharing the

1 sperm and the egg you do not ever know quite the outcome. I have a
2 brother with seven daughters and they are all different. The same father,
3 same mother, but each one is different. So I think that is another way.

4 The idea is in our culture of course control is so
5 important. We have sort of an engineering mind where we want to
6 control and be able to say I do not care how you get the product but get
7 it done. And I think this is what we are saying. It does make a
8 difference how you get the product, the human being. I think what
9 cloning introduces is again a greater control over what comes out at the
10 end.

11 DR. SHAPIRO: Thank you.

12 Steve?

13 DR. HOLTZMAN: Just as a follow up question to elicit
14 what is special about this. In the context of, I think, the embryo study
15 commission, they contemplated the following kinds of cases where you
16 twin an embryo, you take one, you freeze it down, the other one grows
17 up, says I like myself, all right, and then unfreezes the embryo. All right.
18 Is that really distinctively different?

19 DR. CAHILL: I do not think that is --

20 DR. HOLTZMAN: The same -- both the elements are there

21 --

22 DR. CAHILL: Right.

23 DR. HOLTZMAN: -- and being able to examine its own life
24 and make that decision.

25 DR. CAHILL: I mean, yes, but the thing is either of those
26 could be carried out in a number of different circumstances representing

1 greater or less degrees to say replicate one's self or another human
2 being or to exert control.

3 There is -- in the Kennedy Institute of Ethics a year or so
4 ago there was a report on human cloning that was done by the National
5 Advisory Board on Ethics and Reproduction of which I am a member,
6 and Gladys White, our executive director, I saw here before, but it spoke
7 to that earlier type of cloning and tried to draw some parallels. Although
8 cloning from -- the kind of cloning that has recently been developed was
9 not actually on the table at that point.

10 DR. HOLTZMAN: The reason I am asking the question is
11 already there is legislation or potential regulations or whatever being
12 introduced that are making much of the fact that the DNA is from an
13 adult somatic cell. I am wondering if that is where the rubber hits the
14 road in consideration of the subject.

15 DR. CAHILL: That it is from an adult?

16 DR. HOLTZMAN: It is from a somatic cell.

17 DR. CAHILL: Yes, yes, yes, I see what you are saying.

18 DR. HOLTZMAN: And I am not sure that that is where the

19 --

20 DR. CAHILL: Yes. I am not sure to be perfectly honest
21 whether I could get distinctive moral content out of the difference
22 between cloning from an embryo and cloning from an adult cell.
23 Although maybe with more thought that would become evident.

24 DR. SHAPIRO: Thank you.

25 David?

26 DR. COX: So I --

1 DR. MORACZEWSKI: I would like to make a comment.

2 DR. SHAPIRO: Were you addressing it to both or just --

3 DR. MORACZEWSKI: Well, when you began your question
4 I thought it would end something like this, I was once faced with having
5 to baptize twins, identical twins, so I thought, ah, here is an opportunity,
6 I will just baptize one and then have them both raised and see what -- if
7 baptism made a difference in their behavior.

8 (Laughter.)

9 DR. CAHILL: You know, to go back to your point, I think it
10 will make a difference whether you viewed the embryo that was cloned as
11 the parent or as the twin. I mean, it is a philosophical or a logical
12 distinction and I am not sure which is the appropriate way to regard it.
13 But would it be better or more accurate to regard the cell taken from the
14 embryo as derived from an already existing individual which is then in
15 effect the parent although at a very early stage as with an adult in a
16 somatic cell?

17 I think the difference is that with the embryo the cell
18 would not be as developed. That would be the whole point. That is why
19 that was -- it was possible to do that earlier. And it has not been able --
20 we have not been able to do cloning with somatic cells until now because
21 the technology or the science was not in place.

22 So if it -- if it -- if the embryo was viewed more in the
23 construct of identical twinship then both of those individuals could be
24 regarded as having the two genetic parents, which is not the case with a
25 child created from the somatic cell of an adult which only has one
26 genetic parent.

1 DR. SHAPIRO: Thank you.

2 I want to turn to Professor Cox in a moment but I just
3 want to observe that your story about the baptism shows -- is a
4 marvelous illustration of not being able to straighten out your role as
5 scientist from priest.

6 (Laughter.)

7 DR. SHAPIRO: We all have that difficulty.

8 Professor Cox?

9 DR. COX: Yes. I would like to follow up on Eric's question
10 and put it a slightly different way and actually to both of the speakers the
11 question he asked Dr. Cahill, which is this ambiguity. I actually
12 appreciate the comments from both speakers very much because the
13 ambiguity is obvious and what you have done is you have just stated
14 both points. Okay. What faces this commission is figuring out a way of
15 how to balance that and I think Solomon is quite appropriate.

16 We do not have Solomon though so what we have to do is
17 figure out how we are going to do it and I would be very interested in
18 hearing from you what kind of process that you think that would be a
19 good one to be able to balance these kinds of issues because that is
20 what we are really faced with. We are not faced -- we have to identify
21 them and I think that you have both done a good job of doing that. But
22 how do we balance them? And that is not so clear to me and it is not so
23 clear to me that that kind of process exists in our society in any kind of
24 clear way.

1 So I realize I am a scientist and I do not want to make
2 this, you know, more reductionist than it is but we have to proceed down
3 that path. So how do we do it?

4 DR. CAHILL: Balance the what?

5 DR. COX: So let me make it really clear, okay.

6 DR. CAHILL: Yes.

7 DR. COX: Is the balance the concepts of individuality and
8 autonomy you were talking about versus the other social goods.

9 Balance, okay, the commercialism versus an individual self-interest
10 versus society's interest in commercialism, balance the issues in terms
11 of destroying, you know, the standard family structure, okay, by cloning
12 versus the ability of people. On the other hand they would argue that,
13 you know, it gives us an opportunity to have kids that we would not
14 otherwise would not.

15 So it is both of these sides that Eric was, you know, I
16 detected frustrated by the equivocation, but it is the reality. And then we
17 have to have a way of adjudicating between, you know, what is the
18 balance because we come down with a final answer, right, is that maybe
19 it is not the same answer in all three of those but do we clone or don't we
20 clone, okay, or is that how simple it is.

21 But you have to look at these different things and weigh
22 them. So how do we weigh them?

23 DR. CAHILL: I think both of us were saying, and this does
24 not give you the process, but I think both of us were suggesting that we
25 should not at this point give support to the cloning of human individuals,

1 which does not mean that there should be any support for any of the
2 research that is related to the science that goes into that.

3 DR. COX: Good. So you just weighed them for me which
4 is great. All right. And I think that, Dr. Moraczewski, I did not have any
5 problems hearing him weigh them. I heard how you weighed them.

6 But in terms of -- do you have comments, doctor, in
7 terms of the process of how the panel would go about doing this?

8 DR. MORACZEWSKI: Well, I would commend you or the
9 panel, this is exactly what needs to be done, is to hear the various voices
10 in society and not try to homogenize everything. This is one of the great
11 difficulties. If one speaks from that perspective and the perspectives are
12 different and yet now we have to be able to transcend the differences.
13 And, you know, a dictionary of translation does not help very much. But
14 it does bringing people together and working with them for a while. It
15 cannot be settled in 90 days. I do not know. But it is a problem of
16 communication.

17 I have worked with interdisciplinary fields many times and
18 we find we use the same words but they mean different things because
19 the context of our use and previous experience is different. So what I am
20 saying here is one step towards what you are trying to achieve. You need
21 a lot of discussion among yourselves. You represent many different
22 groups and many different disciplines. You will be hearing from us and a
23 variety of input from the public. You need to weigh this and eventually
24 you have got to take a step.

25 Now there is no easy way to do it. You have got to bite
26 the bullet and go on. But it is -- roughly I think possibly that the

1 question of individuals and society, individual rights and societal rights,
2 how do you balance the two because sometimes they are in conflict.
3 And we started off with we realize there is no easy answer but with good
4 will and a clarification of what we hold in common. This is the important
5 thing, what do we hold in common? Upon what platform can we speak
6 together because if we do not then we speak at cross purposes. But
7 establish what is the common note and then argue with trust about the
8 differences.

9 DR. SHAPIRO: Thank you very much.

10 I have quite a few members of the commission who want
11 to speak. No double questions allowed, you have to leave your
12 colleagues -- and you cannot even ask two people the same question. So
13 if you could direct your questions and find your most important one.

14 Let me turn to Tom first.

15 DR. MURRAY: I notice that Dr. Shapiro chooses me on
16 which to begin the limitation but I will --

17 (Laughter.)

18 DR. MURRAY: -- take that up later.

19 DR. SHAPIRO: Actually I meant something very deep by
20 that.

21 (Laughter.)

22 DR. MURRAY: I am sure he did. I cannot resist. This is
23 not a question but I cannot resist thanking Dr. -- Father Moraczewski for
24 his wonderful experiment and pointing out that one of my colleagues
25 mentioned you had -- there was a potential moral problem, namely how
26 would you get IRB approval for that study, also scientific difficulty, that

1 is the dependent variable of real interest would only happen -- it would
2 be very difficult to assess at least in this earthly existence. But a good
3 example.

4 Then let me just praise both of you and thank both of you
5 for what I think is a very rich -- two very rich contributions to our
6 conversation. If I have to choose and I hate to choose I will ask Father
7 Moraczewski my question.

8 As Dr. Cahill, I think, rightly reminded us as you have just
9 so eloquently expressed, we need to have a really intense conversation
10 listening carefully to each other and I think that means we need to put
11 our arguments in the most forceful but accessible manner possible.
12 Now it is clear to me how for an American who is committed to the
13 Catholic faith tradition, I think you have eloquently described the basis of
14 the beliefs you would expect them to have, and the concept of human
15 dignity of course has resonance much more broadly than any particular
16 faith tradition in the United States.

17 Could you help us to frame, again as forcefully as
18 possible, what the argument is that human cloning would, in fact, be an
19 affront to human dignity and frame it in a way that would be
20 understandable and accessible from people -- for people from say
21 disparate faith traditions?

22 DR. MORACZEWSKI: I wish I was Solomon but I will try to
23 -- you know, he used -- he was about to use a sword and I think that the
24 only sword I have is to make distinctions. You know, there is a famous
25 philosophical principle that seldom affirm, never deny, and always
26 distinguish.

1 DR. MURRAY: I like that.

2 DR. MORACZEWSKI: So I have to make some distinctions
3 you see. Obviously the question asked does not emit a quick answer at
4 least for myself, my mind does not work as quickly as it used to when I
5 was younger, but we begin with -- as I said before, we need a
6 commonality. What do we agree on, see? Well, we can agree on a
7 certain number of things. We can agree that life is important. We agree
8 that individuality, autonomy, all these values are important.

9 We need perhaps for one thing to do a hierarchy, a
10 priority among these values. Are they one and the same plane or does
11 one supersede the other? And that is the one thing to clarify and come
12 to an agreement. We say that would be one of the steps after deciding
13 what is the common ground.

14 But to be able to then decide which of the values is going
15 to be relevant here now, from the Christian point of view and generally
16 from many other points of view as well, individual life and individual
17 integrity is important. We try to protect that in a number of ways and
18 yet we see in public life that integrity of many individuals has been shall
19 we say twisted and distorted by greed perhaps or some other factor.

20 So we need to identify what it is that is really important in
21 human life that we share in our society and that will take a process to do
22 that as I see it, discussion. And then to be able to say a question
23 properly formulated is half of the answer. So that means we have to
24 formulate the question properly and that takes time, too. Time that we
25 do not have here in these few minutes for me to do.

1 But I would at least encourage you to continue as you are
2 doing not only listening but you need some time among yourselves
3 privately. I do not want to drag this out but I think that is the thing I
4 would emphasize. The need for the commission by itself after you have
5 heard everything to really discuss this on their own.

6 DR. MURRAY: Thank you. I know it was a very difficult
7 question and I appreciate your effort to help us.

8 DR. MORACZEWSKI: Thank you.

9 DR. CASSELL: Father, the context makes a difference
10 with King Solomon's sword and cutting the baby in half, doesn't it, in this
11 context?

12 DR. MORACZEWSKI: Maybe that it --

13 DR. CASSELL: He would not have cut the baby in half, he
14 would have cloned the baby and satisfied both mothers.

15 DR. SHAPIRO: We could rewrite that incident in modern
16 terms. Let me -- If I could ask my fellow commissioners to restrain their
17 natural enthusiasm and let me go down this list and turn to Dr. Lo next.

18 Bernie?

19 DR. LO: First, I also want to thank both our speakers for
20 not only their presentations but their very thoughtful answers to our
21 questions. One of the things that is very difficult as we think about this
22 is that it is not always difficult to identify the main themes that are
23 concerning people but it is sometimes harder to articulate why exactly
24 that theme is of such great concern for cloning compared to other
25 technologies or actions.

1 Dr. Cahill, I thought what you did with individuality,
2 saying that, you know, this is a real concern but when you look at it more
3 closely maybe it is not as big as concern as it first appears. Could you
4 help me understand concerns about family? I mean, I think there are on
5 some very intuitive level grave problems with sort of confounding the
6 roles of parent and twin and so forth.

7 But in a society where a lot of children have one parent
8 doing the child rearing, although they have two genetic parents, can you
9 articulate for us exactly what is the nature of the ethical problem with
10 having the genetic sort of linkage to only one parent that would happen
11 in cloning? Can you help us sort of --

12 DR. CAHILL: Yes.

13 DR. LO: -- can you give us more detail about what you
14 mean by that?

15 DR. CAHILL: Well, I am not sure I can give a satisfying
16 answer but the first thing I will do is distinguish as Father Moraczewski
17 suggested. I am not sure that it would really be accurate to say that my
18 concerns are the general public concerns and that is one of the things
19 that bothers me. It goes back to my sort of focusing on autonomy as the
20 on moral principle that everybody at a gut level thinks should be
21 absolute.

22 And I think that in much of the way we regard families
23 that autonomy principle, that people have a right to choose the kind of
24 family they want to have, that they have a right to have children if they
25 choose and how they choose, that if they want to use cloning or any

1 other method than that should be a free and informed decision of that
2 couple or that individual.

3 I think that that is a very common popular approach to
4 these issues. My own view is that that is not adequate although
5 autonomy is important. I do not want to be read as saying that
6 individual autonomy is meaningless but to me it is not a full enough
7 understanding of the human reality of parenthood, being a child and
8 family.

9 So I am trying to raise consciousness a little bit more
10 about the historical and cross cultural importance of intergenerational
11 family networks that we do not capture adequately if we only look at
12 couples and their children, and the nuclear family, or an individual or
13 two individuals making a free choice to create a family however they
14 choose and, you know, using the means that they choose.

15 Well, in my own thinking about what I would write and
16 what I would say here, I realize that one of the great liabilities of the so-
17 called natural law tradition in general or just appealing to common
18 human values and experiences in general is that those experiences and
19 values are always read differently in different cultures by different people
20 in different ways.

21 So I realize that while I might be able to point to the
22 historical universality of the two lineage intergenerational family I do not
23 have a final logical or empirical argument that will convince everyone
24 beyond a shadow of a doubt that that can and must be preserved for all
25 future generations.

1 So it is a matter of trying to work more consensually and
2 inductively to raise up human experiences and at least to present the
3 question whether given the real revolution in human family and
4 reproduction that cloning of individuals would represent, we should not
5 approach that with a great deal of caution and not assume too quickly
6 that free choice should determine the decision that we may make that
7 may have immense implications for our society and for other societies
8 for that matter in the future.

9 DR. SHAPIRO: Thank you.

10 Larry?

11 DR. MIIKE: I am going to ask a simple question but my
12 guess is the answer would be complex. In your minds, and I am asking
13 both of you, do you distinguish between cloning itself and the
14 consequences of cloning?

15 I know from the Catholic Church's position that probably
16 there is no distinction because of once one has the potential for a full life
17 that is considered a human being. But is it -- would it be as simple as
18 that then? There is no distinction between the science of cloning as we
19 have been talking about it today? Is there no room for discussion in that
20 debate and the balancing of interests if that is, indeed, my correct
21 interpretation?

22 DR. MORACZEWSKI: Well, there are several questions
23 you have asked, one was folded in the other, but maybe first address one
24 point. You said the difference between cloning and its consequences.
25 The way I approached the issue initially was to address cloning in itself,

1 that is to say the very nature of cloning, and not -- in other words, the
2 use of cloning rather than the abuse of cloning.

3 There are many things that can be done with cloning
4 which one would be found reprehensible and that is a secondary interest
5 in the way I approached it. I wanted to get at cloning itself. Now -- so I
6 would say that there is a difference there between looking at cloning in
7 itself as a use versus an abuse of cloning.

8 But now with regards to is there room for discussion, that
9 is what you are asking I gather relative to the first, and I would say there
10 is room for discussion and I would not want to say off-hand that the
11 discussion was already predetermined in terms of a conclusion.

12 I think to my mind at least that the church would be
13 concerned about discussion in case there be something that it is
14 possible that has been overlooked. But I would dare say for the most
15 part that it would have to be a most unusual element that was not
16 considered.

17 So if you want to conclude that this is a dead end -- well, I
18 say it probably is in terms of -- since the church -- what I tried to present
19 was the essence of it so that it does not depend on the circumstances or
20 the consequences or the need, but the very essence. It has to do with
21 the very essence of human nature, human procreation and human
22 marriage and family. I think that is why there is no room because if
23 we understand correctly the nature of these items then cloning is really
24 inimical to those standards.

25 DR. SHAPIRO: I just want to comment that Larry tried
26 not only to ask two questions but two questions to two people.

1 (Laughter.)

2 DR. SHAPIRO: That is four times as bad and so I am
3 going to go on to our next commissioner.

4 Alta?

5 PROF. CHARO: Dr. Cahill, by way of clarification, you talk
6 about concerns about cloning of what you call a human individual. I
7 wonder if you can help me understand what you precisely mean by that
8 term. Do you mean a live born baby? Do you mean an embryo? Do you
9 mean a fertilized egg? Do you mean sometimes one or another of the
10 above?

11 DR. CAHILL: I meant a person -- an individual after birth
12 because that is what has been really -- which does not prejudice any
13 position I would take on, you know, zygotes or embryos. But I think that
14 -- or my assumption just from the publicity and the nature of the recent
15 discussion that has been in the press and that was stimulated by the
16 scientific work that has been done in the last few weeks, focus the moral
17 and policy debate on taking the somatic cell of the developed individual
18 presumably after birth when the -- you know, end or desire to clone that
19 individual would arise and then stimulating that or, you know, using its
20 DNA so that it could grow. So that was where my comments also
21 intended to focus.

22 DR. SHAPIRO: Thank you.

23 Arturo?

24 DR. BRITO: This question is for Father Moraczewski. A
25 little clarification, on page four, the address by John Paul II to the World
26 Medical Association where it stated that "Each human person in his or

1 her absolute unique singularity is not constituted only by the spirit but
2 also by the body." It would help me in thinking through this process if
3 you could clarify this and it is a question with a couple parts to it but it is
4 very short.

5 (Laughter.)

6 DR. BRITO: I just want to ask you would you agree that
7 the -- with that statement I have just read or that the individuality of a
8 human being is more of a spiritual -- of a spirituality which we cannot
9 assume is determined scientifically or any other way, and therefore if you
10 agree with that am I to understand that, therefore, a major concern with
11 human cloning is more of a biological concern than one that is
12 theological?

13 DR. MORACZEWSKI: Well, from the church's point of view
14 the individual is constituted, the Pope says, by their soul or spirit and
15 the body. The two constitute the person. When church speaks about the
16 human person it is speaking about the soul-body union. It is not the
17 union of two things but of two principles to constitute one thing, namely
18 the human person. And so that is why we treat the zygote -- in order to
19 have the new organism, the new living organism, that is totality I
20 suppose, is you have a human individual, a human person, that is, I say -
21 - or the church has been with some distinction.

22 Anyway the point was that the human person is
23 constituted by both the soul and the body and that both are equally
24 important but from different points of view. Say that the body
25 individuates in a certain way certainly and we have genetically -- we see
26 that as a very important element in it. So that it is truly an individual. It

1 is different even as identical twins are different not only by virtue of the
2 minor differences in their body and their experiences in utero or outside
3 utero, but also by their spirit which we feel is also uniquely and
4 separately created by God. So it is both are involved but from different
5 aspects.

6 DR. BRITO: Okay. So, therefore, the body is also
7 involved. So how would you distinguish this from let's say a cell biologist
8 manipulating human cells versus a heart transplant surgeon
9 transplanting an organ into a human being, therefore you are affecting
10 the body. So is the Catholic Church also against this kind of interference
11 of the human body as individuals?

12 DR. MORACZEWSKI: No. Because you see we are talking
13 about parts of the body. An individual cell or an individual organ is a
14 part of a total -- of a larger organism, the human being, the human
15 person. So in the case of heart transplant, for example, or any
16 transplantation, understanding of consent, it is ultimately for the good of
17 the recipient that the heart be replaced or kidney be replaced, or liver, or
18 what have you. And there has been no problem because you are not
19 dealing with moving persons about, you are moving parts of the person
20 into another.

21 So that the -- a cell while in one sense a unicellular
22 organism is an organism whereas a one cell from a multicellular
23 organism is only part of an organism. Itself is not freestanding.

24 Now the totipotential cell from the very beginning as long
25 as it is totipotential is able, and given the right environment, is able to

1 develop into a full adult. But after differentiation has set in it loses its
2 totipotentiality and no longer able to develop into an adult.

3 DR. SHAPIRO: Thank you very much. I, myself, have a
4 long series of questions but you have had three half questions and one
5 follow-up questions in case you think I am not keeping track.

6 (Laughter.)

7 DR. SHAPIRO: But I think we really do have to move on.
8 There is a lot of further questions. I want to express my thanks again
9 but I really would like to move on to our next speakers who have been
10 kind enough to join us this afternoon, and that is Dr. Duff and Dr.
11 Meilaender.

12 I do not know which of you would like to proceed first.
13 Dr. Duff, do you want to begin, or Dr. Meilaender?

14 All right.

15 Dr. Meilaender, thank you very much for coming and we
16 will turn to you first.

17 PROTESTANTISM

18 DR. GILBERT MEILAENDER

19 DR. MEILAENDER: Well, thank you very much for this
20 opportunity. I am sorry that I forced you to revise your schedule by not
21 being here. I did not realize you were going to start a little early. I
22 actually was here but I was trying to catch the end of the Princeton-Cal
23 game.

24 (Laughter.)

25 So I apologize for that.

26 DR. SHAPIRO: Who won?

1 DR. MEILAENDER: Well, I was -- I came at what I thought
2 was the starting time and, therefore, I did not see who won but Cal was
3 winning very close to the end. That is the best I can tell you.

4 Although my time is brief I want to take a moment at the
5 outset to make a few introductory qualifications to everything that I will
6 say. I have been invited, as I understand it, to speak specifically as a
7 Protestant theologian. I have tried to take that charge seriously and I
8 have chosen my concerns accordingly.

9 I do not suppose, therefore, that the issues I address are
10 the only issues to which you are to give your attention. Thus, for
11 example, I will not address the question of whether we could rightly
12 conduct the first experiments in human cloning given the likelihood that
13 such experiments might not at first fully succeed. I assume that is an
14 important moral question but I will not take it up. Nor do I suppose that
15 I can represent Protestants generally. There is no such beast.

16 Indeed, Protestants are specialists in the art of
17 fragmentation. In my own tradition, which is Lutheran, we commonly
18 understand ourselves as quite content to be Catholic except when on
19 certain questions we have been compelled to disagree. Other
20 Protestants might think of themselves differently.

21 More important, however, is this point. Attempting to
22 take my charge seriously I will speak theologically, not just in the
23 standard language of bioethics or public policy. I do not think of this,
24 however, simply as an opportunity for something like the Protestant
25 interest group to weigh in at your deliberations.

1 On the contrary, this theological language has sought to
2 uncover what is universal and human. It begins epistemologically from a
3 particular place but it opens up ontologically a vision of the human. The
4 unease about human cloning that I would express is widely shared. I
5 aim to get at some of the theological underpinnings of that unease in
6 language that may seem unfamiliar or even unwelcome but it is language
7 that is grounded in important Christian affirmations that attempt to
8 understand the child as always our equal, a gift and not a product.

9 In any case I will do you the honor of assuming that you
10 are interested in hearing what those who speak such a language have to
11 say and I will also suppose that a faith which seeks understanding may
12 sometimes actually find it.

13 Lacking an accepted teaching office within the church
14 Protestants had to find some way to provide authoritative moral
15 guidance. They turned from the authority of the church as interpreter of
16 scripture to the Biblical texts themselves. That characteristic Protestant
17 move is not likely, of course, to provide any very immediate guidance on
18 a subject such as human cloning. But it does teach something about the
19 connection of marriage and parenthood.

20 The creation story in Genesis chapter 1 depicts the
21 creation of human kind as male and female, sexually differentiated and
22 enjoined by God's grace to sustain human life through procreation.
23 Hence there is given in creation a connection between on the one hand
24 the differentiation of the sexes and on the other the begetting of a child.

25 We have to come at the question of cloning indirectly then
26 starting from that point. It is from the vantage point of this connection

1 that our theological tradition has addressed a question that is profound
2 but mysterious in its simplicity. What is the meaning of a child and what
3 is good for a child? That question is, as you know, at the heart of many
4 problems in our society today and it is against the background of such a
5 question that I want to reflect upon the significance of human cloning.

6 What Protestants thought they found in the Bible was a
7 normative view, namely that the sexual differentiation is ordered toward
8 the creation of offspring and the children should be conceived within that
9 marital union. By God's grace the child is a gift who springs from the
10 giving and receiving of love. Marriage and parenthood are connected
11 held together in a basic form of humanity.

12 To this depiction of the connection between sexual
13 differentiation and childbearing as normative it is, of course, possible to
14 respond in different ways. We may welcome the connection and find in it
15 humane wisdom to guide our conduct as I hope you will. We may also
16 resent it as a limit to our freedom and seek to transcend it. We did not
17 need modern scientific breakthroughs to know that it is possible and
18 sometimes seemingly desirable to sever the connection between
19 marriage and begetting children.

20 The possibility of human cloning is striking in one sense
21 only because it breaks the connection so emphatically. It aims directly
22 at the heart of the mystery that is the child. Part of the mystery here is
23 that we will always be hard pressed to explain why the connection of
24 sexual differentiation and procreation should not be broken. Precisely to
25 the degree that it is a basic form of humanity it will be hard to give more
26 fundamental reasons why the connection should be welcomed and

1 honored when in our freedom we need not but moral argument must
2 begin somewhere. "To see through everything is..." as C.S. Lewis once
3 put it, "...the same as not to see at all."

4 If we cannot argue to this starting point, however, we can
5 argue from it. If we cannot entirely explain the mystery we can explicate
6 it and the explication comes from two angles. Maintaining the
7 connection between procreation and the sexual relationship of a man
8 and woman is good both for that relationship and for children. It is good
9 first for the relation of the man and woman. No doubt the motives of
10 those who beget children coitally are often mixed and they may be
11 uncertain about the full significance of what they do.

12 But if they are willing to shape their intentions in accord
13 with the norm I have outlined they may be freed from self-absorption.
14 The act of love is not simply a personal project undertaken to satisfy
15 one's own needs and procreation is the fruit of coitus reminds us of that.
16 Even when the relation of a man and woman do not or cannot give rise
17 to offspring they can understand their embrace as more than their
18 personal project in the world as their participation in a form of life that
19 carries its own inner meaning and it has its talis established in the
20 creation.

21 The meaning of what we do then is not determined simply
22 by our desire or will. As Oliver O'Donovan, a well-known contemporary
23 Anglican theologian, has noted, "Some understanding like this is needed
24 if the sexual relation of a man and woman is to be more than simply a
25 profound form of play."

1 When the sexual act becomes only a personal project so
2 does the child. No longer then is the bearing and rearing of children
3 thought of as a task we should take up or as a return we make for the
4 gift of life. Instead it is a project we undertake if it promises to meet our
5 needs and desires.

6 Those people, both learned commentators and ordinary
7 folk, in recent days have described cloning as narcissistic or as
8 replication of one's self sees something important. Even if we grant that
9 a clone reared in different circumstances than its immediate ancestor
10 might turn out to be quite a different person in some respects, the point
11 of that person's existence would be grounded in our will and desire.

12 Hence retaining the tie that unites procreation with the
13 sexual relation of a man and woman is also good for children. Even
14 when a man and woman deeply desire a child the act of love itself cannot
15 take the child as its primary object. They must give themselves to each
16 other setting aside their projects and the child becomes the natural
17 fruition of their shared love. Something quite different from a chosen
18 project.

19 The child is, therefore, always a gift. One like them who
20 springs from their embrace, not a being whom they have made and
21 whose destiny they should determine. This is light years away from the
22 notion that we all have a right to have children in whatever we see fit
23 whenever it serves our purposes.

24 Our children begin with a kind of genetic independence of
25 us, their parents. They replicate neither their father nor their mother.
26 That is a reminder of the independence that we must eventually grant to

1 them and for which it is our duty to prepare them. To lose even in
2 principle this sense of the child as gift will not be good for children.

3 I will press this point still further by making one more
4 theological move in very theological language. When Christians tried to
5 tell the story of Jesus as they found it in their scriptures they were driven
6 to some rather complex formulations. You probably did not think you
7 were coming to this meeting to talk about these formulations but for a
8 moment I want to.

9 Christians wanted to say that Jesus was truly one with
10 that God whom he called Father lest it should seem that what he had
11 accomplished did not really overcome the gulf that separates us from
12 God. Thus while distinguishing the persons of Father and Son they
13 wanted to say that Jesus is truly God, of One being with the Father was
14 the language. And the language in which they did this, language from
15 the 4th Century, Nicene Creed, one of the two most important creeds
16 that antedates the division of the church in the west at the reformation,
17 is language which describes the Son of the Father as begotten not made.

18 Oliver O'Donovan has noted that this distinction between
19 making and begetting crucial for Christians understanding of God carries
20 considerable moral significance. What the language of the Nicene Creed
21 wanted to say was that the Son is God just as the Father is God. It was
22 intended to assert an equality of being. For that what was needed was a
23 language other than the language of making. What we beget is like
24 ourselves. What we make is not. It is the product of our free decision
25 and its destiny is our's to determine.

1 Of course, on this Christian understanding human beings
2 are not begotten in the absolute sense the Son is said to be begotten of
3 the Father. They are made but made by God through him in begetting.
4 Hence, although we are not God's equal we are of equal dignity with each
5 other and we are not at each other's disposal. If it is, in fact, human
6 begetting that expresses our equal dignity we should not lightly set it
7 aside in a manner as decisive as cloning.

8 I am well aware, of course, that other advances in what
9 we are pleased to call reproductive technology have already strained the
10 connection between the sexual relationship of a man and woman and the
11 birth of a child. Clearly procreation has to some extent become
12 reproduction making rather than doing.

13 I am far from thinking that all of this has been done well
14 or wisely and sometimes we may only come to understand the nature of
15 the road we are on when we have already traveled fairly far along it. But
16 whatever we say of that surely human cloning would be a new and
17 decisive turn on this road. Far more emphatically a kind of production.
18 Far less a surrender to the mystery of the genetic lottery which is the
19 mystery of the child who replicates neither Father nor Mother but
20 incarnates their union. Far more an understanding of the child as a
21 product of human will.

22 I am also aware that we can all imagine circumstances in
23 which we, ourselves, might were the technology available be quite
24 tempted to turn to cloning. Parents who lose a young child in an
25 accident and want to do something that they might call replacer. The
26 seriously ill person in need of embryonic cells to repair damaged tissue.

1 A person in need of organs for transplant. A person who is infertile and
2 wants in some sense to reproduce.

3 Once the child becomes a project or product such
4 temptations become almost irresistible. There is no end of good causes
5 in the world and they would surely tempt us even if we did not live in a
6 society for which the pursuit of health has become a god justifying
7 almost anything.

8 As William F. May has often noted, "We are preoccupied
9 with death and the destructive powers of our world." But without in any
10 way glorifying suffering or pretending that it is not evil, Christians
11 worship a god who wills to be with us in our dependence, teaching us in
12 May's words, "Attentiveness before a good and nurturant god." We learn,
13 therefore, that what matters is how we live, not only how long, that we
14 are responsible to do as much good as we can but that means as much
15 as we can within the limits morality sets for us.

16 I am also aware finally that we might for a time approve
17 human cloning but only in restricted circumstances. As, for example,
18 the cloning of preimplantation embryos up to 14 days for experimental
19 use. That would, of course, mean the creation solely for purposes of
20 research of human embryos. Human embryos who are not really best
21 described, I think, as preimplantation embryos. They are unimplanted
22 embryos. Elocution which makes clear the extent to which their being
23 and destiny are the product of human will alone.

24 If we are genuinely baffled about how best to describe the
25 moral status of that human subject who is the unimplanted embryo we
26 should not go forward in a way that peculiarly combines metaphysical

1 bewilderment with practical certitude by approving even such limited
2 cloning for experimental purposes.

3 Protestants are often pictured actually erroneously in
4 many respects as stout defenders of human freedom. But whatever the
5 accuracy of that depiction they have not had in mind a freedom without
6 limit, without even the limit that is God. They have not located the
7 dignity of human beings in a self-modifying freedom that knows no limit
8 and that need never respect a limit which it can in principle transgress.

9 The meaning of the child, offspring of a man and woman
10 but replication of neither, their offspring but not their product whose
11 meaning and destiny they might determine, that I think constitutes such
12 a limit to our freedom to make and remake ourselves. In the face of that
13 mystery I hope that your commission in its deliberations will remember
14 that progress is always an optional goal in which nothing of the sacred
15 inheres.

16 Thank you.

17 DR. SHAPIRO: Thank you very much. I appreciate all
18 your remarks.

19 Now we will turn to Dr. Duff and then we will go to our
20 discussion period.

21 Dr. Duff, thank you for being here.

22 DR. NANCY DUFF

23 DR. DUFF: I appreciate very much the opportunity to be
24 here not only to speak but to listen to all that has gone before and to
25 have the opportunity to stay tomorrow and listen to the other
26 presentations.

1 In the 16th Century John Calvin wrote this about
2 childbirth: "Although it is by the operation of natural causes that infants
3 come into the world yet therein the wonderful providence of God brightly
4 shines forth. This miracle because of its ordinary occurrence is made
5 less accounted by us. But if in gratitude did not put upon our hearts the
6 veil of stupidity we would be ravished with admiration at every childbirth
7 in the world."

8 Now in the 20th Century we find that infants do not
9 always come into the world through the operation of natural causes. The
10 miracle childbirth has moved beyond ordinary meaning through such
11 procedures as in vitro fertilization. Now that we face the possibility of
12 human lives springing not from a fertilized egg whether fertilized
13 artificially or in the old-fashioned way but from a clone, we are making
14 great account, some people would say too much account, of this
15 possible new form of bringing an infant into the world.

16 Many people wonder whether this is, indeed, a miracle for
17 which we can thank God or an ominous new way to attempt to play God.
18 At the very least it represents the tension that often exists between the
19 church and science.

20 On the one hand the church has sometimes taken an
21 overly antagonistic opposition to scientific advances. So that Galileo was
22 charged with heresy for supporting the unbiblical notion, Copernican
23 notion, that the earth revolves around the sun. Darwin's theory of
24 evolution, which apparently scared him a bit in the beginning too, is still
25 opposed by some church groups who want to promote what they believe

1 to be the biblical view of creationism so that it would be given equal time
2 in schools.

3 Such examples remind us that the church must guard
4 against the assumption that faith requires protection by being shrouded
5 in ignorance. We should be able to celebrate human accomplishments
6 including accomplishments in genetic research as a result of the divinely
7 bestowed gifts of knowledge and technical skill.

8 On the other hand the church widely understands that
9 human sin can lead us to new scientific advances for extremely evil
10 purposes. We can never support the pursuit of knowledge for its own
11 sake apart from asking serious moral questions about the implications of
12 that which we seek to know.

13 To date we have not been able to deal with the moral
14 implications, the moral and legal implications of adoption, much less
15 artificial reproduction. We certainly are not yet morally, legally or
16 spiritually prepared to tend to the difficult issues that would arise if
17 human cloning became a reality.

18 So my position that I recommend to you: While I do not
19 rule out completely the morality of research into human cloning, I
20 support a moratorium on such research which would be removed only in
21 light of strong evidence for the positive benefits of such research. I offer
22 eight guidelines with some supporting theological rationale for the
23 commission to consider:

24 (1) We should proceed with research into human cloning
25 only if compelling arguments can be made for its potential benefits.
26 While the medical benefits of animal cloning and other kinds of genetic

1 research on human beings are readily discussed in the material that I
2 have read, though there is not a consensus about those they are
3 certainly discussed and proposed, I have not found equally compelling
4 accounts of the potential benefits of human cloning.

5 The reasons that I have heard so far are inadequate. An
6 infertile couple's desire to have a child through cloning does not provide
7 a reason to proceed. There are other existing means of artificial
8 reproduction. Furthermore, I agree that we should not make
9 reproduction or in this case the replication of children no matter what
10 the cost or what the reasons a constitutional right.

11 At the same time whenever I have proposed that to my
12 students or different groups they say that I have not experienced the
13 tragedy of infertility and my saying that I want to diminish that freedom
14 to reproduce artificially. We need to be careful about that. There is a
15 real sorrow for people who face that that some of us do not know but I
16 still cannot so far as to say that it needs to be all right no matter what
17 the cost.

18 A grieving parent's wish to replicate a dying child does
19 not justify research into human cloning. In fact, it misunderstands the
20 distinctiveness of each human being called into being by God.

21 We need to question any motivation to replicate a human
22 being in order to replace another. I would even question having a child
23 to replace another through birth if that is our only reason for wanting to
24 give birth to the next child.

25 Of course, any overt suggestion that children can be
26 cloned for directly instrumental purposes such as providing the military

1 with more soldiers or a basketball team with more talented players is
2 ruled out of hand.

3 I do not dismiss the possibility that benefits from
4 research into human cloning exist but I have not yet heard what they are.

5 (2) Guard against self-deception and, of course, public
6 deception when presenting the pros and cons of human cloning. As Dan
7 Horowitz (?) has pointed out, one test for truth, Christians would say one
8 test for gospel truth, is that it destroys avenues for self-deception and
9 forces us to recognize the limits of our own identity.

10 Debate over abortion provides an excellent and tragic
11 example of our inability to avoid self-deception in search of truth. The
12 debate over abortion recently focusing on late term or partial birth
13 abortions depending on your position indicates a reluctance to look at
14 the facts surrounding both sides of a very serious issue for fear that one
15 might discover or publicize a fact that does not support one's stance.

16

17 Representatives from pro-life and pro-choice groups are
18 equally guilty in this regard. Rarely able to state each other's positions
19 fairly and hiding facts, sometimes from themselves as well as from
20 others which do not support their particular position and exaggerating
21 facts which do.

22 We need to avoid repeating this error in the debate over
23 human cloning. We should understand as clearly as possible the
24 benefits to humanity and the potential threats. The public needs to hear
25 in language that nonscientists can understand the potential benefits and
26 -- what the potential benefits and ills of human cloning are.

1 (3) Research -- I think while this moratorium or ban is in
2 place we need to research all pertinent related topics. For instance,
3 what is the effect that twins have on one another positively and
4 negatively. What does it mean to their identity that they are twins? It is
5 not exactly the same thing as being a clone but it is the closest parallel
6 we have. So might we study the effects of twins' close identity as a way
7 to try to speculate what it would be like to be a clone.

8 What is the impact of artificial insemination with an
9 anonymous donor on a child in the family that it produces? Does that
10 child have a strong desire to know who the anonymous biological father
11 is? It is not the same as having no biological father but it still might
12 bring us insight into what human cloning would mean for the child who
13 came into the world that way.

14 During the moratorium we need to continue to gather
15 information and anticipate policy decisions for that day when human
16 cloning may occur whether banned or not. Also during that ban or
17 moratorium on human cloning or research on human cloning we need to
18 make a clear distinction, as Dr. Cahill said, between human cloning and
19 other forms of genetic research.

20 (4) We must consider the status of the human embryo in
21 research. Given the divisiveness of this question in relation to the
22 abortion debate is the hardest issue that must be considered and one
23 that cannot be fully resolved to everyone's satisfaction.

24 The Doctrine of Vocation claims that God calls each of us
25 into the world for a purpose. Each human life has divinely bestowed
26 value and purpose. Although we may never agree on the point at which

1 that developing life becomes a person, that is the popular way to pose
2 the question, I believe we are compelled to take that life seriously and
3 ask after what point is it no longer morally acceptable to experiment.

4 If it took 277 tries to get this one sheep, if we had a
5 similar research experiment for human cloning, what is the status of all
6 those developing embryos that did not make it? Are we only losing
7 genetic material? I am open to there being an affirmative answer to that.
8 Or would we actually be losing human lives? I am not proposing an
9 answer to that one but I think that we cannot get around asking it.

10 (5) No human being can ever be cloned to serve a
11 predetermined purpose in the world. Hence we cannot clone human
12 beings as I said earlier to provide soldiers for the military or with the
13 expectation they will be great athletes or an attempt to create a great
14 musician or scientist. God alone calls a person into being no matter how
15 that person was conceived, reproduced or replicated.

16 No matter how well we learn to manipulate genetic matter
17 or replicate human life we do not create life in the way that God does.
18 We do not, as God does, call human beings into existence nor do we, as
19 God does, call human beings into different identities and tasks.
20 Identical roles cannot be assigned to members of any one race, class,
21 culture or gender.

22 We cannot provide -- I am sorry I cannot read my writing
23 so I will leave that last statement for -- I will just leave it.

24 (5) We can proceed with research into human cloning
25 only after considering the larger issues of elocution. I think this is very
26 significant. From a Christian perspective we are concerned about the

1 least of the brothers and sisters around us. "For such as you have done
2 to the least of these so you have done it to me." A well known passage
3 from Matthew.

4 While many of us, certainly myself can included, can
5 thank God that our children are not likely to die from flu, diphtheria or
6 polio, or even suffer from the mumps, measles or rubella because of
7 advances in medicine, we must remain mindful of the enormous number
8 of children and adults in this country and abroad who are forced to live
9 as if these advances had never occurred. Simple diarrhea kills
10 thousands of children every year.

11 When considering research into human cloning we must
12 look at the responsible use of limited resources. Though I am not a
13 utilitarian ethicist I do believe that it is mandatory to ask whether other
14 research projects will serve a greater number of people than research on
15 human cloning and take the answer to that seriously.

16 (6) If we proceed with research into human cloning we
17 must be mindful of those who are most likely to be exploited. Given the
18 past history of medical experimentation and lack of access for certain
19 groups to medical facilities we must be especially concerned that
20 women, racial and ethnic minorities, prisoners and the poor are not
21 exploited as a result of research into human cloning.

22 Do we desire to clone to enhance or eliminate certain
23 racial features or to replicate one gender in greater numbers than the
24 other? Or will we exploit one group such as prisoners in the process of
25 experimenting on human cloning? We have to look at who -- which

1 groups are the most likely to be exploited if we went ahead into research
2 on human cloning.

3 (7) Consider the best interests of children and I would
4 really -- though it is coming to the end of my presentation I would put
5 this at the top of my list. From a Christian perspective we can affirm
6 that all children belong only to God. They are not our's to manipulate,
7 control or abuse. But even for those without religious convictions there
8 are many reasons, both compassionate and practical, for society to put
9 the best interest of children first.

10 Unfortunately, no matter how a child comes into the
11 world, through the operation of natural causes, through in vitro
12 fertilization or eventually through cloning, we have not and no doubt will
13 not be ravaged with admiration at every childbirth in the world.

14 Recent Court cases indicate that we are already confused
15 about the best interest of children if not sometimes indifferent. We find
16 it difficult to sever ties between abusive parents and their children, to
17 give custody of that child to a loving nonabusive foster parent who wants
18 to adopt. We can under value the biological and genetic tie of a so-called
19 surrogate mother to the child she gives birth to at the same time that we
20 can grant custody of a toddler to a biological father he never has met
21 before.

22 We have sometimes considered contractual agreements
23 and rights of biological parents with more zeal than we have pursued the
24 best interest of children. Here if we want to anticipate what sort of
25 policies will be put into effect if human cloning became a reality we have

1 an opportunity to put the best interest of children forward and I would
2 urge you to consider that.

3 Finally, I would -- it is almost an aside because I do not
4 believe that it is your -- within your responsibility but I have to mention
5 the regulation on the treatment of animals. Although there is a point
6 where we can clearly distinguish this is research into animals, this is
7 research into human cloning, I think they are more closely tied than we
8 seem to think.

9 Ever since I published a little piece in the Washington
10 Post I have had calls from people all over the country like now I am an
11 expert on cloning. I think it is just because there is not enough material
12 and they do not know who else to call. But all of them consistently have
13 been interested only in human cloning and there is no interest in raising
14 the question about animal cloning.

15 Two ways that I think we cannot -- reasons I think we
16 cannot divide them, research into animal cloning adds to our knowledge
17 about research into human cloning. There is a point at which -- I mean,
18 everybody got so nervous when it was they had cloned the monkeys
19 because that is one step closer to doing a human being. I do not think
20 the research can be divided quite that clearly.

21 The second is that animal cloning is meant for our
22 benefit, for human beings who have been called into responsibility for
23 them. So even if it is not your task to regulate the treatment of animals I
24 do not agree with Peter that we should stop all cloning, all experiments
25 and cloning of animals.

1 What I do agree with him on is that we should be
2 concerned about how those animals are treated. If that is not your
3 responsibility I would wish for you to take this opportunity to pass that
4 concern on to some commission who does that have that responsibility.

5 DISCUSSION

6 DR. SHAPIRO: Thank you very much. I thank both of you
7 once again.

8 We now turn to members of the commission who may
9 have questions they want to raise.

10 Eric?

11 DR. CASSELL: They were both excellent presentations. I
12 am allowed to only address one of you. Dr. Duff, you are it.

13 But as I listened I am struck by the fact that evolution of
14 the human condition in this nation and people who share human spirit
15 have widely different views about the subject, that we are a pluralist
16 society and that whatever comes out of this commission must both meet
17 -- must meet the needs of this diverse society. And I am interested in
18 how you feel about what you -- not how you feel, what you think about
19 both things being met, matters that concern you greatly and the fact that
20 others who are good persons and true believe opposite from you.

21 DR. DUFF: I am concerned that we -- I do not know if we
22 ever did have but we do not seem any longer to have a sense of the
23 common good. So whatever, we do have incredibly diverse position on
24 things, but where I wish we would come together is if we had some sense
25 of serving the common good and I do not think that we have that as a
26 society.

1 What I would put forward as a way to argue for in
2 language besides just my religious language to promote an interest in
3 the common good it does spring from my religious understanding of
4 tending the least of the brothers and sisters.

5 I would have that as a primary category no matter where
6 we stand on this as who is most likely to get hurt, who is most likely to
7 gain, and can we use our resources to help people with the most
8 devastating illnesses. I know we may have reached a point where we
9 wish science would cure our mortality but if you know somebody who
10 has a disabled child or who is mentally disoriented, I do not think that is
11 wrong to wish for research to find ways to cure that.

12 So I wanted to target the worst diseases and disabilities,
13 the people who have always been left out, and let that guide our
14 disagreement and our decisions over what we are going to do. And there
15 are very practical and even selfish reasons to do that as well as
16 compassionate ones.

17 Thank you.

18 DR. SHAPIRO: Thank you. I have a message for
19 someone who may be in the audience.

20 Dr. Anna Johnson Winegar, I have a message for you up
21 here if you would just come and get it if you are here.

22 Zeke?

23 DR. EMANUEL: My question is directed to Dr.
24 Meilaender. I really do appreciate your talk to us and I am sorry I am
25 not sure I got all the subtlety but it was quite powerful and I want to just
26 try -- it is difficult to summarize in a sentence and I think that is one of

1 the difficulties we as commissioners and other people in the debate are
2 having. But it seemed to me that central to your concern was the issue
3 of making and the fact that the usual connotation of making for us is to
4 create an artificial world in which we go.

5 To add this being as an artificial creation of our's into the
6 world seemed to me objectionable on your point for two related reasons.
7 One is it robs the sort of mystery of earth and natality, and human
8 development. The second is it sort of offends our keeping our position in
9 the world as it were recognizing the need to have limits.

10 Is that right? Have I gone off? Could you maybe
11 elaborate because I think both of those are powerful understandings that
12 we are not used to.

13 DR. MEILEANDER: Well, you know, when one is asked to
14 elaborate there is a tendency simply to repeat what one already said. I
15 will try not to do that. Yes, I think that those are at least two aspects of
16 what I was trying to get at. On the one hand by using the language of
17 mystery I do not want to suggest that, well, we just cannot think about it
18 then, you know, I guess it is something that cannot be explored. But I
19 did want to suggest that there might be here something that we can only
20 explicate as I put it. We cannot entirely offer more fundamental reasons
21 that in some sense are grounded or from which we can deduce it.

22 It has to do with an understanding of what it means to be
23 human and I think that what we do has implications for how we think.
24 Perhaps not immediately in any given individual's case, I mean I do not
25 know how to predict that exactly, but if these really are such
26 fundamental matters then what we do teaches us to think about each

1 other in certain ways and there are ways we ought not think about each
2 other. Ways that encourage us finally to think of some as at the disposal
3 of others in some of the sense of the product of someone's will.

4 It is the -- I mean, there is -- you know, we get several
5 centuries of the turn to the subject at work here and the primacy of will
6 in moral matters, and in a sense we -- you see important philosophical
7 idea working itself out practically here and there might be occasions
8 when one would want to say, "Well, that idea oughten to work itself out
9 any farther."

10 I do not know if that -- if I am responding or if I am
11 making sense or not. I guess you are not allowed to respond but, yes, I
12 mean it is that kind of concern that seems to me to be important. I
13 realize it is not the kind of thing that one, you know, draws up a code
14 about or something but it would be unfortunate to miss that sort of
15 question in these deliberations.

16 DR. SHAPIRO: So I am not accused of being so critically
17 rigid do you wish to respond?

18 DR. EMANUEL: I think I got enough. Thank you.

19 DR. SHAPIRO: Dr. Lo?

20 DR. LO: Since I actually asked a double barreled
21 question of two people last time I will try and redeem myself by not
22 asking a question but to request the three speakers from whom I do not
23 have a text of your talk if you could provide that to the commission. I
24 think for the other speakers tomorrow as well. I think that would be very
25 helpful. I would appreciate the opportunity to sort of go back over in
26 more detail what you presented so well orally.

1 Father or Reverend, I think we have your document
2 already.

3 DR. SHAPIRO: Thank you very much for that suggestion,
4 Bernie. That really would be very helpful to all of us.

5 I have three people on my list and I will tell what the
6 order is so you know. Jim, then Diane and Tom.

7 Jim?

8 DR. CHILDRESS: I would like to express my appreciation
9 to both speakers and direct a question to Gil Meileander.

10 It is a variation of the question I addressed to the
11 previous panelist. You thought about human cloning or spoke about
12 human cloning in relation to various reproductive technologies and you
13 used the language of new. At some times it was unclear to me whether
14 you were talking about a difference in degree or a difference in kind.
15 Some of your language seemed to suggest that human cloning is merely
16 different in degree from the other reproductive technologies we use.

17 You used language about, if I recall correctly, more
18 emphatically and more decisively. I just wonder if you could say a bit
19 more about how closely you are connecting human cloning with the other
20 technologies or whether there is really something pretty distinctive about
21 the concerns you have raised at this point?

22 DR. MEILAENDER: Well, these are deep puzzles in some
23 ways. Let me put it this way: I am open -- I could be persuaded that we
24 are talking about something that is a difference in kind here and not just
25 a difference in degree. That does not mean that some of the issues are
26 not, you know, roughly similar. I mean, the making versus begetting

1 issue does not arise only here as I noted. Although as I also said
2 sometimes when you see where it takes you, you rethink what you
3 thought about other matters.

4 But the production of someone who, you know, looks and
5 talks, and thinks, and smells, and so forth like us, but is not the child of
6 a man and woman, I am not sure whether I think that is -- I mean, even if
7 it were only a matter of degree it may be an important enough matter of
8 degree to be genuinely worried about and that is probably sufficient for
9 my concern today.

10 But actually I think they are deep metaphysical puzzles
11 about what this subject would be and it might, therefore, be actually a
12 difference in kind. But how exactly to pursue that, you know, I mean in
13 common talk it is the language of the soul and that sort of thing has
14 been used. I am not sure what the best way to pursue it is but it is a
15 question that I would not necessarily assume I am 100 percent certain of
16 the answer to.

17 DR. SHAPIRO: Thank you.

18 Diane?

19 DR. SCOTT-JONES: My question is actually a version of
20 the question that Jim just asked you so I will try to ask it a little bit
21 differently than I had planned to and you can tell us a little bit more
22 about how you think about this. This is for Dr. Meilaender and I should
23 say that I enjoyed very much both your presentations.

24 If you think of a human cloning as part of a continuum
25 and we can set aside for the moment the issue of whether it is different
26 in degree or just qualitative -- or is qualitatively different, but if we think

1 of it as the endpoint of a continuum of techniques of having children or
2 being able to rear children that we might find acceptable or at least
3 questionable, how would you see other kinds of techniques that are used
4 for having children or raising children?

5 For example, you talked about the importance of the link
6 between marriage and parenthood, the importance of the contribution of
7 both the men and women. Given that how do you see reproduction that
8 is a result of a woman having a child from sperm from an anonymous
9 donor or even how do you see adoption in this whole issue if you think of
10 there being some type of continuum of ways of our wanting to have
11 children or be able to raise children?

12 DR. MEILAENDER: Well, I would have gotten off the train
13 sooner than here, in fact. Exactly where, you know, I want to get off
14 sometimes puzzles me myself. I think adoption is a different matter. I
15 will simply say that.

16 I mean, I am the father of three children who are
17 biologically mine and one who is adopted. But I think there are different
18 sorts of reasons that ought to move one to that. If it is only that I want
19 to have a child somehow, I mean I would want to talk to those people
20 myself so that adoption is a different matter. It is a matter of caring for
21 a child who for unfortunate reasons cannot be reared by his or her
22 biological and gestational parents.

23 But I blurred in my talk a little bit and I did it
24 intentionally because I did not know -- well, I figured it was already more
25 theology than you wanted and I did know exactly what you wanted. But I
26 sometimes use the language of the connection between marriage and

1 parenthood, and I sometimes use the language of the connection
2 between the sexual differentiation and the, you know, offspring, children.

3 Those are a little bit different in some respects. One
4 might say that artificial insemination by donor breaks or at least
5 stretches the connection between marriage and parenthood. It does not,
6 I guess, break the connection between the sexual differentiation itself
7 and the production of a child. It is, therefore, a further step, whether we
8 call it degree or kind -- I mean, in that case I think degree probably. But
9 it does not so decisively step away from what I think a lot of Christians
10 have found as part of kind of the divinely created order that connects
11 that sexual differentiation with, you know, the production of the child.

12 For other reasons I think it is a bad idea and that is why I
13 said I would have gotten off the train sooner. I would not wish to be
14 understood to recommend artificial insemination by a donor. If you
15 caught me in the right mood I would even say it is wrong but I still think
16 it stands within that general understanding that connects the sexual
17 differentiation with the child and where the cloning is a little different I
18 think. I do not know. I hope that is clear anyway.

19 DR. SHAPIRO: Thank you.

20 Tom?

21 DR. MURRAY: When I raised my hand a few minutes ago
22 I had intended to ask a question essentially similar to Jim Childress' but
23 another has occurred to me so I am not going to give up my place.

24 I do want to begin, though, by sincerely thanking you, Dr.
25 Meilaender and Dr. Duff, as I had earlier thanked Dr. Cahill and Father
26 Moraczewski. Anybody who was despairing of the quality of public

1 dialogue about some deeply important human and moral issues should
2 have been here this afternoon. This has been something I am going to
3 reflect on for a good deal longer and may very well come back to you for
4 assistance in understanding some of the implications of what you said
5 today.

6 Let me direct my question to Dr. Duff since we have sort
7 of let you off rather easily so far. I very much like your list of
8 considerations and in my artful note taking I came up with nine rather
9 than eight points but that is fine.

10 Oh, there are other members --

11 (Simultaneous discussion.)

12 DR. MURRAY: So it was a richer presentation. Maybe --

13 DR. SHAPIRO: Replicated, Tom, not --

14 (Laughter.)

15 DR. MURRAY: I liked the points very much. I think they
16 are morally relevant considerations that anyone I think would wish to
17 take into account. We are going to have to make recommendations
18 obviously to a pluralistic community and in the context of, you know,
19 sort of legal, constitutional and political traditions, one of which is this
20 focus on individual liberty and autonomy.

21 Now I have to confess I -- for coming not from -- you
22 know, not necessarily from religious reasons but I share I think very
23 much the kind of position that I have heard many of you express about
24 the language of autonomy and individual liberty simply being relevant
25 but inadequate to capture what really is important here.

1 But given our sort of commission's constraints and given
2 that we have to respond to this pluralistic world that gives a lot of
3 importance to individual liberty and autonomy, what would you suggest
4 we do? I mean, how should we -- how can we formulate a response that
5 does justice as I really want to do to the kinds of considerations that you
6 have raised?

7 DR. DUFF: Two responses. One that I know is hard
8 because I found it hard as I put together my own response but that is --
9 it is related to one of the things I said and that is honestly to give both
10 sides of the issue. Now the reason why I think it is hard when you are
11 giving a report like you do, and I found it hard here since I was afraid you
12 would just accuse me of not having said anything, you just stated both
13 sides and it was confusing.

14 But I think that should not keep us from being fair to both
15 sides and being fair -- and there are more than two sides. So that really
16 making people feel that their position has been represented even if you
17 think it is a position that is wrong, you do not agree with it, but you have
18 heard it and you want to present it as fairly as you can.

19 One of my teacher's rule of thumb for academic debate
20 was that you should be able to state your opponent's position so clearly
21 and so fairly that your opponent would say, "Yes, that is what I mean,"
22 and we do not do that. We certainly do not do it in politics and we do
23 not do it in academics very well either. So that would be one way so that
24 everyone would really -- a lot of people would feel that they had been
25 heard.

1 But my other response is the same I have already given
2 that I think that we have to proceed with a sense that we are trying to
3 build or move towards a sense of the common good. I do not know
4 whose original quotation it was. I heard it from Paul Lehman and maybe
5 he got it from Luther, I do not know, but he understood the relationship
6 between the individual and the community as saying, "In each the good
7 of all and in all the good of each."

8 You cannot put individual rights and freedom, and
9 autonomy over the concern for the community, and you cannot put
10 concern for the community over concern for individual rights and
11 autonomy. The two have to work together and they are not necessarily
12 opposed.

13 There might be certain cases where one is limited by the
14 other but they are related to one another from beginning to end so that
15 we need to look after the common good. I care for fellow human beings
16 even when I do not agree with them. A pluralistic society does not mean
17 that we cannot have a deep concern for the good at all which is related
18 to the good of each.

19 DR. SHAPIRO: Eric?

20 DR. CASSELL: Well, I will preface it by saying that the
21 complexity of the problems that face us that science raises, that the
22 world in which we live raises, cries out for an educational system that
23 does what Aristotle wanted, right, that makes its participants able to
24 make choices. But now time has passed, it is 25 years from now, you
25 are very healthy because of the advances in medicine, Dr. Meilaender,
26 and here are several children who have been cloned, and actually this is

1 one family that presents three. Are they -- what is your stance towards
2 those individuals, each who have the same?

3 DR. MEILAENDER: What do you mean by what is my
4 stance? Are you asking --

5 DR. CASSELL: Well, they --

6 DR. MEILAENDER: -- I think there are entological
7 statuses, how are we going to treat them --

8 DR. CASSELL: -- well, how are you going to treat them?
9 How should they be treated in this society? I mean, we are sitting here
10 looking at misconceptions, that is one thing. But other persons in our
11 world, are they in some sense different for us? Will we treat them
12 differently? Should the nation treat them differently?

13 DR. MEILAENDER: Well, let me say a couple of things.
14 We are back to the deep metaphysical questions here that I do not know
15 that I am entirely prepared to answer. But I do assume that it might be -
16 - just as a starter I do assume that it might be possible that human
17 beings could make other beings who would not simply be one of us. I
18 mean, I do assume that is possible and I think that actually intuitively a
19 lot of people do not think that in this whole conversation. But I do
20 assume that they might look like us and talk like us and so forth but not
21 be one of us, that history affects nature in a way.

22 That does not mean that necessarily I would want to treat
23 -- I would be my usual nice self but there -- Christians have always
24 thought there was some rational species other than human beings.
25 Angels, for instance. And you run into a rational species that is not

1 human and you have to ask yourself how you ought to treat them. So I
2 think there would be questions for one thing that would arise.

3 But I am not -- I do not think the issue is really so much
4 how would we treat them simply but how would we have learned to think
5 of each other also and insofar as we come to think of the possibility that
6 some human beings are the creation of our free will and desire, I think,
7 you know, it is imponderable, it is incalculable how we might learn to
8 think of some or another of us or of, you know, some other species.

9 So how would I treat them? Well, I, you know, if I really
10 thought they were human beings then I would treat them the way I treat
11 other human beings. If I thought they were some other rational species
12 then I would sit down and try to do my best thinking about what our
13 duties to other rational species were. But I think the real question is
14 how will we have trained ourselves to think about each other and will we
15 still have the kind of intellectual wherewithal to sustain a notion of equal
16 dignity. I am not sure.

17 DR. DUFF: Can I respond to that?

18 DR. SHAPIRO: Yes?

19 DR. DUFF: It is just slightly different but I think it is
20 significant. I think it is imperative to assume that they are the same
21 human beings as the rest of us and that one of the reasons I want us to
22 anticipate the possibility or is it an inevitability that people will be cloned
23 is just for the reason that we would have already put in policies in place
24 that say this is a person the same as the rest of us, the same civil rights,
25 cannot be bought and sold, cannot be manipulated, cannot be owned, so
26 that I cannot imagine that it would be a different species.

1 beings, whether you couch that in religious terms or not, is I think
2 probably an illusion.

3 You could try, you know, accentuating autonomy, try to
4 turn to some kind of procedural solution, couching it in the language of
5 pluralism and so forth. That does carry a notion of what is the good life.
6 However, in some ways it carries a notion of kind of what it means to be
7 a human being and so forth along with it.

8 I do not think there is any way -- in other words, I do not
9 think that you are going to find a language that does not itself bear
10 normative implications, whether religious or not. So that for me, you
11 know, the religious language is just one further complication of that
12 problem. It is not -- you are not -- by avoiding religious language and
13 finding some other kind of lowest common denominator language you
14 are not actually going to avoid the problem.

15 Now I did try to say at the start at my presentation when I
16 said that I, you know, on the one hand I wanted to talk theologically but I
17 did not want to just sort of be the Protestant interest group popping in
18 here for a moment, I do think that at least in some cases theological
19 language of the sort that I quite deliberately used has been an attempt
20 to get at what was thought of as really sort of fundamentally human.

21 I do not suppose, therefore, that the only way to
22 articulate at least some of what I said is by talking about the relation
23 between the first and second persons in the Trinity in Christian
24 language. But it -- I simply wanted to try to explore some of the
25 underlying theological reasons that are at work there. I think at least
26 some of those insights can be articulated in other ways.

1 I used the phrase, I mean it is certainly not original with
2 me, it goes back a long way, "Faith seeks understanding." Well, if faith
3 finds understanding then understanding is presumably something that
4 can be communicated and that one can talk about it. You can talk about
5 equal dignity and so forth not necessarily putting it in my specifically
6 religious terms. But you are not going to get away from value laden
7 language in one way or another.

8 DR. SHAPIRO: Thank you.

9 Larry?

10 DR. MIIKE: This is for Dr. Duff. Something that the Rev.
11 Dr. M, and I will not pronounce his name because I defy him to
12 pronounce mine first before I pronounce his.

13 (Laughter.)

14 What he did say was that -- I am paraphrasing -- "Cloning
15 exceeds the limits of powers delegated to the human race." For Dr. Duff,
16 I do not know what would convince you that there are some legitimate
17 reasons for cloning human beings. You have given a whole bunch of
18 areas in which one might consider it. But am I wrong in assuming that
19 that is really also underlying the basis for much of the religious concerns
20 about cloning, is it not, and if so how does one get beyond that issue?

21 DR. DUFF: I agree in large part with what was said earlier
22 but not entirely. I would not rule cloning out of bounds apart from its
23 consequences, that it is wrong in and of itself. I would not say
24 automatically that it exceeds the power that human beings have and
25 makes us like Gods. Though certainly it opens up the possibility of us
26 attempting to be like God.

1 What could be some compelling reasons to stop a
2 moratorium and we would allow research into human cloning, it is if
3 someone could show to me that it really would enhance the well-being of
4 future lives, that children who now suffer from incredible genetic
5 disabilities or other kinds of illnesses that could be corrected through
6 cloning -- see, I have never read -- that is really gene manipulation or
7 gene therapy or other kinds of genetic research that seems to address
8 devastating illnesses.

9 I have not read anywhere that human cloning addresses
10 the correction of really those horrible things that some people face. But
11 if you could show me that it does then I would reconsider the ban. I do
12 think that the consequences of cloning are important and the results of
13 those kinds of research. I guess the one place where I also differ
14 perhaps with all the panel members that I do value has been life, having
15 children either biologically or through adoption, I do not think that that
16 is absolutely mandatory in every case to create a family.

17 DR. SHAPIRO: Thank you.

18 Steve?

19 DR. HOLTZMAN: Well, let me follow up with that, Dr.
20 Duff, because the kind of argument that has been articulated goes along
21 the following lines: First, it does not assume that the research will go to
22 the end of actually trying to create a human being. What it suggests
23 instead is that you can take a totipotent cell and now we have found out
24 that all cells are totipotent, put them into an oocyte, and that what could
25 come potentially out of it are autologous stem cells so that you would
26 now have, for example, hematopoietic precursors, neural precursors,

1 whatever, such that if you were to get into an accident severing your
2 spinal cord you may now have transplantable cells which you would not
3 reject, all right, and could help yourself.

4 The presumption behind that, again one could say
5 cloning a human being is out of bounds. The kind of research is the
6 same kind of research that could lead to that but stop short of it. What
7 is implicit in that, however, is that you at least given current technology
8 a la Wilmut would be using oocytes, all right, as the vessel for the
9 genetic material and you would be creating something which if
10 reimplanted, if let go, could become a human being.

11 DR. DUFF: Right.

12 DR. HOLTZMAN: All right. And so what some of us are
13 struggling with is the notion that does the -- even if one says I do not
14 want to see human -- new human individuals who are clones created, do
15 you then intellectually run into an argument from another group that
16 says, "But to the extent that you had to use an oocyte and, therefore,
17 created an embryo it is out of bounds."

18 DR. DUFF: That is -- I indicated I think we have to take
19 that very, very seriously. If research into human cloning could lead us to
20 the day where we could clone body parts apart from a developing
21 embryo then I would want us fully to support such research. It is
22 problematic for me but I am not entirely definitive that using what could
23 develop into a human embryo for body parts we are in a different ball
24 park. Do I automatically rule that out? It is such a difficult question.

25 I think we need to admit that in existing forms of artificial
26 reproduction and I actually do not like the term "reproduction" either we

1 discard fertilized eggs as part of -- you know that already -- as part of the
2 process. So is this really different from what already exists is one
3 question legally. But morally is that okay?

4 I stand somewhere between prochoice and prolife groups.
5 I cannot say that a conceived egg, a fertilized egg is exactly the same as
6 a born human being. I do not think anybody entirely says that. We do
7 end ectopic pregnancies and I cannot think of a parallel way where we
8 end the life of a child already born to save the life of the mother if both
9 are going to die. But I cannot be entirely with the prochoice either if we
10 are unconcerned that this is human life.

11 It is not -- at what point does it become a person, you
12 may have to consider all that, but it is not feline life, it is human life. So
13 that I want us to pause over just that question. How we answer it I do
14 not know and that really does -- I think that brings us to the heart of
15 probably the most controversial part of this. It lands us back in the
16 middle of the abortion debate.

17 DR. SHAPIRO: Thank you very much.

18 We only have a very few minutes left before we have our
19 public comment section scheduled and I want to leave a chance for the
20 committee to stretch as we have been sitting here for quite a few hours
21 now. But before doing that I want to do two things.

22 One to thank once again all of the panel members. We
23 are very grateful to you for the very thoughtful way you have addressed
24 us this afternoon. And I want to echo the words of my colleague,
25 Professor Murray, to just thank you for the quality of the overall

1 presentations and the thoughtfulness with which you took this
2 assignment.

3 So thank you all very, very much.

4 (Applause.)

5 DR. SHAPIRO: I think our public comment session is
6 scheduled for 4:15 which is five minutes from now. I think we have a
7 federally mandated obligation to begin at 4:15 so let's stretch and
8 reassemble. Thank you very much.

9 (Whereupon, a brief break was taken from 4:10 p.m. until
10 4:24 p.m.)

11 DR. SHAPIRO: I would like to move into the public
12 comment session now. I would appreciate both the commission and our
13 guests to please be seated so we can turn our attention to those who
14 have signed up for public comments.

15 The first person -- incidently, let me just tell you what the
16 ground rules are for public comments. Each presenter is limited to five
17 minutes so that we have time for each and everyone who would like to
18 address us.

19 The first person is Nancy Reame who is representing the
20 American Society for Reproductive Medicine. Ms. Reame? Excuse me,
21 Dr. Reame. I apologize.

22 STATEMENTS BY THE PUBLIC

23 NANCY REAME

24 DR. REAME: My name is Nancy Reame. I am a professor
25 of nursing and reproductive sciences at the University of Michigan. You
26 may recall that I did testify in front of you last time as a private

1 individual, academician, researcher. However, today I have been called
2 into active duty. There is an executive board meeting in New York City
3 today so I have been asked as a card carrying member of ASRM to stand
4 in, and a very interested member I might add.

5 The American Society for Reproductive Medicine is a
6 national nonprofit organization of more than 10,000 researchers and
7 clinicians dedicated to advancing knowledge and expertise in
8 reproductive medicine and biology. I thank you for this opportunity to
9 speak today.

10 As you know, you are the third panel in less than 20 years
11 that has been directed to explore the broad ramifications of research
12 involving human gametes and embryos. Three years ago a distinguished
13 panel of experts like yourselves convened in a similar setting to discuss a
14 similar topic.

15 After several public hearings and extensive debate that
16 spanned a period of nine months the Human Embryo Research Panel
17 issued a report that established guidelines for federal funding of human
18 embryo research. Included in those guidelines was a statement that in
19 layman's terms said research involving transferring the DNA of an adult
20 cell into an unfertilized egg with the goal of replicating an existing
21 human being was unacceptable. ASRM supported then and still
22 supports those recommendations.

23 Less than 24 hours after the panel's report was released,
24 however, the President issued a directive that compromised the
25 effectiveness of the panel's recommendations. Congress then stepped in
26 during the appropriations process and closed the door on all federal

1 funding of research involving human embryos. Little did they realize that
2 by banning federal funding of this research they ignored important panel
3 recommendations to limit unacceptable research and they closed off the
4 requisite oversight that federally funded research projects required.

5 Had the research been allowed to proceed with the
6 panel's recommendations and guidelines in place a national standard for
7 research on human embryos would exist today and the trepidation about
8 science run amuck engendered by the debut of "Dolly," the sheep, would
9 no doubt have been tempered.

10 Like the 1994 Human Embryo Research Panel ASRM
11 believes that the practice of cloning an existing human being by nuclear
12 transfer is unacceptable. We agree with John Robertson that the cloning
13 of an adult human is replication not reproduction.

14 We would also like to emphasize two additional views.
15 First, the American Society for Reproductive Medicine believes that
16 nonhuman cloning research is acceptable as long as the research is
17 approved by the Institutional Animal Care and Use Committees required
18 by the Animal Welfare Act and the Public Health Service.

19 For example, knowledge gained from the research being
20 conducted at the Oregon Regional Primate Center would ultimately be
21 applied to treating age related infertility in humans. Moreover, we
22 believe that the techniques and methods involved in this cloning
23 research such as a nuclear transplantation and electrical activation of an
24 unfertilized ova without transfer to a human host as considered within
25 the broader spectrum of preimplantation human embryo research may
26 have merit because these experimental paradigms can provide insights

1 into fundamental mechanisms about human fertilization that can
2 certainly help in the development of the treatment of infertility and
3 genetic disease.

4 In accordance with NIH guidelines we believe
5 preimplantation human embryo research can be acceptable provided
6 that careful limits are kept in place in the form of stringent research
7 protocols and required approval by both an ethics committee and an
8 institutional review board of the highest caliber.

9 It was gratifying yesterday to hear Dr. Harold Varmus'
10 comments about the administration's support of lifting the congressional
11 ban on appropriations of human embryo research funding.

12 Once again we urge you to look to the recommendations
13 of the Human Embryo Research Panel for guidance. Furthermore, we
14 urge you to recommend that Congress and the President lift the ban on
15 federal funding of in vitro fertilization research both to benefit patients
16 with infertility, cancer, inherited disease and other human afflictions,
17 and in order to create a national standard of oversight that is clearly
18 needed.

19 An outright research ban on human cloning and its
20 techniques prompted by politics and paranoia is troubling. Similar fears
21 surfaced 19 years ago when the first IVF baby was born. Since then
22 55,000 IVF children have been born to infertile parents in the United
23 States alone and IVF is now a standard treatment for certain types of
24 infertility. Had the fears of 20 years ago halted the research those
25 families would still be childless.

1 However, this is not the success story it should be. Most
2 recent advances in the field have taken place outside the United States
3 as a result of 20 years without federal support and guidance the U.S.
4 lags far behind England, Belgium and other countries that support in
5 vitro fertilization research with restrictions.

6 We are now at a similar point with "Dolly." We cannot let
7 those who fear the misuse of science ban research that could ultimately
8 benefit those who suffer from a variety of human afflictions and diseases.

9 We need to have the vision to allow certain aspects of this
10 research to go forward and at the same time we need to be vigilant in
11 assuring that this research meets the highest ethical standards.
12 Federally funded research with guidelines would accomplish this.

13 Thank you for the opportunity to testify.

14 DR. SHAPIRO: Thank you very much for your remarks.
15 We appreciate it very much.

16 Are there any questions members of the commission
17 would like to ask at this time?

18 Alta?

19 PROF. CHARO: I would like to ask if you could tell us a
20 little bit about the implementation of the legislation originally introduced
21 into the Congress by now Senator Wyden. It was legislation that asked
22 that clinics that do work on assisted reproduction report to the Federal
23 Government about their success rates and my understanding was that it
24 was supposed to be reported to the CDC. To the extent that there is any
25 private sector activity that eventually has the goal of attempting this in

1 humans with the idea of bringing a baby into the world, presumably that
2 would be covered under that bill.

3 Can you report on what has happened in terms of
4 implementation of that bill so we will know what is already in existence
5 by way of reporting mechanisms?

6 DR. REAME: I am not a part of that activity. I am just a
7 member representing ASRM. As I understand, though, there is efforts
8 underway with the CDC. Finding money, first of all, was an issue and
9 how these guidelines would be implemented to begin with. It is -- there
10 are efforts ongoing. I do not -- we have some government relations --
11 people here in the audience. They may have more specific information
12 about that but I am not directly involved in those efforts.

13 DR. SHAPIRO: David, do you have a question?

14 DR. COX: Yes. It is a follow up on this. So even without
15 those efforts could you give us a rough idea of what the success rates
16 are on in vitro fertilization for couples in terms of the fraction of people
17 that come in versus the fraction? If there is 55,000 babies, so out of
18 how many tries?

19 DR. REAME: It depends on the definitions and I think
20 that is part of the problem. I think that is a big part of the problem.
21 Take home baby rates versus pregnancy versus in vitro fertilization rates
22 vary all over the board. I think SART, the Society of Assisted
23 Reproductive Technology, which is a voluntary subspecialty of ASRM if
24 you will, is trying very hard to develop and insist upon and characterize
25 and assemble the data. But there are also clinics that do not take part
26 in this and so it is a huge, huge problem and a black hole if you will.

1 On average people say it is 15 to 20 percent. It varies by
2 site. If you are talking about egg donors it can be as high as 40 percent.

3 DR. SHAPIRO: Thank you. One final question, Dr. Lo?

4 DR. LO: I would like to ask you a question about
5 voluntary guidelines by professional organizations as being one way of
6 putting in place limits on technologies that people have moral concerns
7 about.

8 Is it an official position of ASRM that to engage in the
9 cloning of a human being would be unethical from their sort of
10 professional standpoint and, if so, do you think that those professional
11 guidelines are going to -- what do you think the impact would be on
12 someone who might consider -- want to consider carrying out the cloning
13 of a human being? Are most physicians who -- are most or all physicians
14 who would be technically capable of trying to clone a human being if that
15 became more feasible going to be members of ASRM? What impact
16 does a policy statement from ASRM have on the actions of its members?

17 And let me just sort of put that in context by saying that
18 in California, the University of Irvine, the University of California --
19 University of California, San Diego had a major scandal with the ART
20 program taking oocytes from donors and giving them to other women
21 without the knowledge or consent of the woman from whom they were
22 harvested. It raised real questions among the public about the ability of
23 professionals to enforce standards that in the common morality would
24 have been thought to have been very clear.

25 So there are a lot of interlocking questions and I have sort
26 of used my full compliment of questions for this session. I think that one

1 of the things that people are thinking about is can you trust the
2 professionals who would be involved applying this technology in the ways
3 that people find concerning? Can you trust them to act responsibly so to
4 speak?

5 DR. REAME: Well, the short answer is we have had some
6 experience that the answer could be no because those guidelines have
7 been in place and we have had an -- ASRM has had an ethics committee
8 for many, many years and when people are committed to doing unethical
9 things it may not matter.

10 As part of that question you raised, are physician
11 members especially or reproductive scientists, embryologists, who are
12 also members of ASRM, what is the likelihood of them being involved in
13 human cloning studies or research, or the theoretical clinical application
14 of this and to what extent would they ignore voluntary guidelines I think
15 is an important one. And given what we heard today about the basic
16 science it seems unlikely that in the very near future human cloning and
17 the creation of full-term babies per se is a long ways away.

18 Your first question was actually did -- does ASRM oppose
19 human cloning for the production of children and the answer is yes.
20 However, I think there should be some concern about other -- perhaps to
21 what extent might other kinds of techniques, research procedures,
22 embryo splitting go on in an environment where IVF clinics are not
23 regulated and to what extent they may or may not be members of ASRM
24 is open to question.

25 DR. SHAPIRO: Thank you very much and thank you very
26 much for your testimony.

1 The next person to address us is Judith Lamb-Lion from
2 the Lamb-Lion Institute in Utah.

3 JUDITH LAMB-LION

4 MS. LAMB-LION: Yes, that is not a given name, that is a
5 taken name.

6 If we have this glass of water and we were thirsty we
7 would take a drink from it. However, if I dropped in something that
8 might be radioactive you may not be able to see the radiation but you
9 would be very sure not to drink it. In fact, you would probably clear the
10 room. Now that is a subtle energy field that we do not measure with our
11 senses. We have only recently discovered subtle energy fields we do not
12 know with our senses but we have extended through technology sensory
13 capability and here we are knowing that if we put a Geiger counter to
14 something that is radioactive we are going to get a radioactive readout
15 but not if we walked into a room and it was sitting there and you had no
16 knowledge with your senses.

17 Now the question is, and I am very surprised it has not
18 really been brought up before, is the spirit real? Is the spirit real? If the
19 spirit is real then who has the right to judge whether or not we meddle
20 with the vehicle that the spirit attaches itself to? If the spirit is real is the
21 science we need to study? Can we somehow finally mature to a
22 sophistication of identifying whether or not there is a spirit? That is a
23 very important question here.

24 Is all the art in history where we see the aura of human
25 light, of light radiating out, the auric light of someone, just fantasy? Are
26 the bells and the candles at the altar throughout every religion, are two

1 billion people out to lunch, light and sound as a phenomenon attached
2 to subtle knowledge?

3 What we have to do is say if there is even the slight
4 chance of another physics, a metaphysics, a light and sound energy field
5 that cohabits with the physical forms of animals and plants, are the
6 American Indians out to lunch because they talked to the great fathers in
7 the sky? Were all the saints in history out to lunch? Were they mad? Or
8 were they talking to entities? Were they talking to energy fields of real
9 existence?

10 We have to understand that question before we move on
11 to cloning because cloning is a different step. It is the different step that
12 we have never taken in our history. The way we generate life. Now if the
13 spirit is real then we have to say does the spirit like a cloned body? Does
14 the spirit have a choice?

15 Now if we never get to that question I do not think we
16 have touched metaphysics or spirituality because what is spirituality if it
17 is not the evolution through choice to refine the consciousness to
18 address ever more refined consciousness, subtle energy. Religion
19 means linking back to the subtle from the gross (?) to the subtle.

20 Evolution means choice, selection. When you amputate
21 selection you stop evolution.

22 Now if we cannot sit here and say, "Well, you know, in the
23 old days we did not know that radium was in basalt." Madame Curie
24 spent 17 years trying to separate them. She did not know it existed until
25 she had basalt sitting in a desk draw on top of a key on top of a
26 photographic plate. Then there was an image that she could not explain.

1 What don't we know yet? What don't we know about
2 subtle energy yet? That is the question. Why would we distort the
3 vehicles which we claim throughout all the world that there are spirits,
4 that there are angels?

5 Why do the astronauts in the Soviet Union, whom I have
6 talked to personally, who said they saw angels? These atheists saw
7 angels in space. They came back and reported it. Now either there is or
8 there is not and we cannot play a dual game here where we say on the
9 one hand that we believe in the etheric, we believe in the subtle, but we
10 take no account of it.

11 So are we as spiritual beings, are we as human beings,
12 there are over 80 percent, well over 80 percent of the world who claim to
13 be believers in subtle and yet it has not even been discussed.

14 Is there something missing when we take away subtle
15 information from cloning that may be present only because it is in the
16 auric field of the other data present? When we -- we actually have
17 through coniine (?) photography been able to photograph a full auric leaf
18 where a leaf has been amputated but where the amputation takes place
19 there is still light defining the field where the leaf was. How do we
20 account for these things? Do we move forward before we understand
21 these things?

22 It seems to me that as people who say that they are
23 Christian, who say that they are spiritual, I represent a philosophy of
24 meditation on light and sound. I personally can see auras. I have since I
25 was a child. I can tell when someone is mad. Their aura changes color.

1 It goes red. Now if someone in this room cannot see that how can they
2 say that is not true?

3 Now if somebody can see an angel are they mad or do we
4 have to research it? Do we move forward to change the animal form
5 before we know whether or not they are linked with a spirit that has
6 different laws of function? I think it is an important question.

7 I also represent Eastern Philosophies. Now they believe
8 in reincarnation. I believe in reincarnation. A philosophy that maybe all
9 Christians do not believe in. However, if reincarnation is a fact and the
10 Dali Lama is not a fool, if all of the Eastern Philosophies are not fools but
11 they actually know in reincarnation, what is reincarnating?

12 Can we as Americans, as Christians, can we say that
13 information is important in the world? We make all the dynamic
14 decisions and the world will follow. So if we clone and they do not
15 believe in it and the clones are out there what do they have to do and say
16 about it?

17 If there is such a thing as reincarnation what generates it?
18 What motivates it? What motivates the choice for a reincarnated being
19 to enter into another body?

20 DR. SHAPIRO: I am sorry to interrupt. I do not mean to
21 interrupt. You really have to draw your remarks to a close since we have
22 a five minute limit if you do not mind.

23 MS. LAMB-LION: Great. So as Christians we used to say,
24 "Let thy eye be single and thy whole body shall be full of light. Do you
25 have ears and you cannot hear? Do you have eyes and you cannot see?"
26 What was Christ referring to?

1 Kabir, "If you want the truth I will tell you the truth:
2 Listen to the sound current, the real sound, which is inside you."

3 Hafiz, "When in meditation I see thy beloved form of the
4 Master, oh harmony sounds springs up the central arch stone of my
5 forehead. No one knows where the beloved abides but surely enough
6 comes the sound of a bell therefrom."

7 Sound and light have been throughout history at the base
8 of every religious discipline, whether it is American Indian, whether it is
9 Hindu, whether it is Moslem, whether it is Zoroastrianism, and all of
10 these religions pay lip service to the fact that there are other energy
11 fields present that are not seen by the average seer. Is the average seer
12 the scientist? Does the scientist get the chance to say I cannot see it?
13 Can you say to Mother Teresa that she cannot see it?

14 DR. SHAPIRO: Again I am sorry to interrupt but you
15 really have to bring your remarks to a close.

16 MS. LAMB-LION: This is the close.

17 DR. SHAPIRO: Thank you very much. I appreciate your
18 time.

19 MS. LAMB-LION: Right.

20 DR. SHAPIRO: Any questions from anybody on the
21 commission?

22 MS. LAMB-LION: I know I have kind of dumbfounded
23 everybody by jumping over the board here.

24 DR. SHAPIRO: Thank you very much. I appreciate the
25 time and effort you have taken to come here. Thank you very much.

1 The next speaker is Robert W. Weise from the Lutheran
2 Church, Missouri Synod and Concordia Seminary.

3 ROBERT W. WEISE

4 DR. WEISE: Thank you, Mr. Chairman. A little side, a
5 little light side as to invite Weird Al Yankovic who put a parody to the
6 song, "I think I am alone now. I think I am a clone now." So I do not
7 know that he would have anything additional to say to this.

8 My name is Robert Weise. I am an Associate Professor of
9 Practical Theology and occupy the endowed Chair of Pastoral Ministry
10 and the Life Sciences at Concordia Seminary, The Lutheran Church,
11 Missouri Synod, St. Louis. Before joining the faculty at Concordia I
12 served as a parish pastor in Lutheran congregations for approximately
13 ten years and then following -- prior to that for about five years I was a
14 Professor of Clinical Hematopathology at Wayne State University School
15 of Medicine.

16 I think personally two major areas need to be emphasized
17 here, procreation without traditional human conception and cloning in
18 the face of the myth of human power and the cult of progress.

19 Until the advent of the first test-tube baby in 1978
20 humans were begotten the old-fashioned way. "Adam lay with his wife,
21 Eve, and she became pregnant and gave birth to Cain," as so recorded in
22 Genesis. People throughout the created world viewed sexuality and
23 procreation through Judeo-Christian lenses as unitive. "And God blessed
24 them and said to them (Adam and Eve), 'Be fruitful and multiply...'
25 Humans are generated by God within the marriage bond of one flesh

1 union. thus the meaning and value of human life originates and
2 continues with the Divine Creator, Yahweh.

3 We are not creators of human life. We procreate. A
4 husband and wife participate in the mysterious and miraculous union of
5 the sperm and egg that form a human with potential. This human is
6 unique and valuable because they are created in the image of God and
7 redeemed by the death and resurrection of Jesus Christ.

8 This creative act of God within the union of one flesh of
9 husband and wife is within the context of community. We are not
10 autonomous individuals living out our lives within a vacuum of self-
11 determination and self-preferential love. We have a history, and that
12 history is not told apart from the community we live in.

13 The child in procreation is not the goal, as it seems to be
14 in cloning. Nurturing is certainly one of the main goals of human
15 procreation. The cloning of humans is another step it seems to me in
16 the search of perfectibility and immortality. Children are a blessing to
17 behold. But today they seem to be an inconvenience in a society that is
18 running fast-forward.

19 As a father of five beautiful daughters I understand the
20 identity dilemma that children puzzle over in this so-called post-modern
21 world. Many children do not know who their parents are, either
22 emotionally or physically or spiritually.

23 Since the advent of in vitro fertilization and artificial
24 insemination there are up to 32 ways to conceive a human child. Is
25 there any wonder that more children are seeking their biological parent
26 or parents? Some children question their own value when they learn that

1 one of their biological parents donated eggs or sperm and received up to
2 \$5,000 for time and risk. A child conceived in the womb of a laboratory
3 petri dish may have a genetic mother, a gestational mother or a social
4 mother. With cloning we must ask who is the mother and who is the
5 father in this pathogenically replicated human.

6 The human is more than 100,000 genes along 1.8 meters
7 of DNA per cell. Isn't our identity much more than our genetic
8 configuration? The question of identity reminds us that our human
9 identity, who we are is a function of who we are, comes from the Creator,
10 God, and not from our genes. We are created not to create our mere
11 image.

12 What God has been doing human genetic twinning for
13 thousands of years. This is God's creative method of cloning. He
14 remains in control even though we seek the Holy Grail of immortality and
15 human control in this cultic society of progress. The historicity of
16 various individuals and cultures who have tried to regulate the world and
17 people is replete with failure.

18 Left to our own vices we do fail yet we keep climbing the
19 Mt. Everest of human perfectibility and immortality. Myself as a
20 scientist I know that science is not evil as some people perceive it to be.
21 But only those certainly who seek to abuse and misuse its benefits for
22 their own goal. Therefore, the issue of cloning it seems to me is an issue
23 of hubris. Unlike God, humans cannot regenerate something from
24 nothing.

25 Only human arrogance and self pride would seek to clone
26 itself even when used sparingly to aid infertile couples. Once the one

1 lone clone is let out of the clone mobile our depraved nature will seek to
2 make the rare routine. The only improvement beyond the clone would
3 be the improved clone. Is this human progress? No. The cloned
4 individual is the end of progress. If the world is a mirror of itself what
5 progress lies ahead other than to replicate itself.

6 This hubris of unregenerate humanity is born out in the
7 biblical count of the true story of the Tower of Babel. Here men and
8 women wanted to make a name for themselves, reputation was their
9 aim. This Tower and City was so puny in the sight of the Triune God that
10 he had to go down to His created earth to see what this city and tower
11 was like. The hubris and decadence were foiled by the God who was
12 their creator. Their failure demonstrates the myth of human power that
13 fuels this cultic society of progress.

14 Human power within this society of progress has shifted
15 the procreated paradigm to the reproductive paradigm to the replicative
16 paradigm of human generation. Rather than looking to ourselves for the
17 answers to the perplexing issues of human cloning we need to look at the
18 community we live and serve in seeking to care and not to create,
19 seeking to correct and not to clone.

20 Oliver O'Donovan on sex as artifice and its awesome
21 power wrote in his book entitled Begotten or Made?, "If it occurs, that
22 mankind does have the awesome technical power to exchange the
23 humanity which God has given him for something else, to treat natural
24 humanity itself as a raw material for constructing a form of life that is
25 not natural humanity but is an artificial development out of humanity.
26 The sheer difficulty of comprehending the staggering power which man

1 can deploy may make us incline to minimize the significance of this, as
2 of any other, technical innovation, projected or realized. The great
3 intellectual challenge that faces our age in view of these innovations is
4 not to understand that this or that may or may not be done but to
5 understand what it is that would be done if it were to be done." So says
6 Oliver O'Donovan.

7 DR. SHAPIRO: Excuse me. Are your remarks nearly
8 through?

9 DR. WEISE: Yes.

10 DR. SHAPIRO: Thank you.

11 DR. WEISE: The Lutheran Church, Missouri Synod
12 supports medical and scientific technological advances to be sure that
13 are in the service of the Word of God. While the Lutheran Church,
14 Missouri Synod has not yet gone on record regarding an official position
15 on human cloning, our Scriptural and Confessional teachings on the
16 value of human life, its creation, redemption and sanctification would
17 neither support nor condone any form or use of human cloning
18 technology even if it were used sparingly. We believe that the children
19 are a gift from God. They are not a right to be created or replicated as a
20 means to an end regardless of the motive. We do not form ourselves, He
21 the Creator forms us and gives us life.

22 Thank you, Mr. Chairman.

23 DR. SHAPIRO: Thank you very much. Thank you very
24 much for being here.

25 Any questions from members of the commission?

26 (No response.)

1 DR. SHAPIRO: Thank you very much. We appreciate
2 your time and effort.

3 I think at this time Michelle Theiman (?), if I pronounced
4 that correctly, of AAAS wants to make a very brief announcement
5 regarding an activity which might be of interest to either the members of
6 the commission or others interested in this topic -- this area. Excuse
7 me.

8 DR. THEIMAN: Michelle Theiman.

9 DR. SHAPIRO: I am sorry.

10 MICHELLE THEIMAN

11 DR. THEIMAN: That is okay. From AAAS. And we just
12 want to announce that on Thursday, May 15th, the American Association
13 for the Advancement of Science will be holding a forum on cloning open
14 to anybody interested in the issues of cloning. It will consist of three
15 parts. The parts will be a scientific rundown of basically what is going
16 on. Also a portion on scientific responsibility and freedom. The third
17 portion will be theological issues surrounding the cloning.

18 It is at the Museum for Women in the Arts, which is at
19 1215 New York Avenue, Northwest, downtown, and it is from 9:00 in the
20 morning until 3:00 in the afternoon.

21 Thank you very much.

22 DR. SHAPIRO: Thank you.

23 Is there anyone in the audience who would like to address
24 the commission at this time?

25 (No response.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28

DR. SHAPIRO: Thank you very much. Is there any
business any commissioner would like to raise at this time?

(No response.)

DR. SHAPIRO: In that case we are adjourned until
tomorrow morning. Thank you all very much.

(Whereupon, the proceedings were adjourned at 4:57
p.m.)

* * * * *

